

Commission of Inquiry into the Decline of
Sockeye Salmon in the Fraser River



Commission d'enquête sur le déclin des
populations de saumon rouge du fleuve Fraser

Public Hearings

Audience publique

Commissioner

L'Honorable juge /
The Honourable Justice
Bruce Cohen

Commissaire

Held at:

Asia Pacific Hall at the
Morris J Wosk Centre for Dialogue
580 West Hastings Street
Vancouver, B.C.

Friday, December 16, 2011

Tenue à :

Asia Pacific du
Morris J Wosk Centre for Dialogue
580 rue Hastings Ouest
Vancouver (C.-B.)

le vendredi 16 décembre 2011

APPEARANCES / COMPARUTIONS

Brock Martland Kathy L. Grant Jennifer Chan	Associate Commission Counsel Junior Commission Counsel Junior Commission Counsel
Mitchell Taylor, Q.C. Mark East Geneva Grande-McNeill Adam Taylor (Articling Student)	Government of Canada ("CAN")
Clifton Prowse, Q.C. Tara Callan	Province of British Columbia ("BCPROV")
No appearance	Pacific Salmon Commission ("PSC")
No appearance	B.C. Public Service Alliance of Canada Union of Environment Workers B.C. ("BCPSAC")
No appearance	Rio Tinto Alcan Inc. ("RTAI")
No appearance	B.C. Salmon Farmers Association ("BCSFA")
No appearance	Seafood Producers Association of B.C. ("SPABC")
Gregory McDade, Q.C.	Aquaculture Coalition: Alexandra Morton; Raincoast Research Society; Pacific Coast Wild Salmon Society ("AQUA")
Karen Campbell Judah Harrison	Conservation Coalition; Coastal Alliance for Aquaculture Reform Fraser Riverkeeper Society; Georgia Strait Alliance; Raincoast Conservation Foundation; Watershed Watch Salmon Society; Mr. Otto Langer; David Suzuki Foundation ("CONSERV")

APPEARANCES / COMPARUTIONS, cont'd.

Don Rosenbloom	Area D Salmon Gillnet Association; Area B Harvest Committee (Seine) ("GILLFSC")
No appearance	Southern Area E Gillnetters Assn. B.C. Fisheries Survival Coalition ("SGAHC")
No appearance	West Coast Trollers Area G Association; United Fishermen and Allied Workers' Union ("TWCTUFA")
No appearance	B.C. Wildlife Federation; B.C. Federation of Drift Fishers ("WFFDF")
No appearance	Maa-nulth Treaty Society; Tsawwassen First Nation; Musqueam First Nation ("MTM")
No appearance	Western Central Coast Salish First Nations: Cowichan Tribes and Chemainus First Nation Hwlitsum First Nation and Penelakut Tribe Te'mexw Treaty Association ("WCCSFN")
Leah Pence Crystal Reeves	First Nations Coalition: First Nations Fisheries Council; Aboriginal Caucus of the Fraser River; Aboriginal Fisheries Secretariat; Fraser Valley Aboriginal Fisheries Society; Northern Shuswap Tribal Council; Chehalis Indian Band; Secwepemc Fisheries Commission of the Shuswap Nation Tribal Council; Upper Fraser Fisheries Conservation Alliance; Other Douglas Treaty First Nations who applied together (the Snuneymuxw, Tsartlip and Tsawout); Adams Lake Indian Band; Carrier Sekani Tribal Council; Council of Haida Nation ("FNC")
No appearance	Métis Nation British Columbia ("MNBC")

APPEARANCES / COMPARUTIONS, cont'd.

Nicole Schabus	Sto:lo Tribal Council Cheam Indian Band ("STCCIB")
Steven Kelliher	Laich-kwil-tach Treaty Society Chief Harold Sewid, Aboriginal Aquaculture Association ("LJHAH")
Krista Robertson	Musgamagw Tsawataineuk Tribal Council ("MTTC")
No appearance	Heiltsuk Tribal Council ("HTC")

TABLE OF CONTENTS / TABLE DES MATIERES

	PAGE
PANEL NO. 66 (cont'd)	
FRED KIBENGE	
Cross-exam by Ms. Callan	1/3/4/6/9
Cross-exam by Mr. Blair	10/11/14/15/17/18
Cross-exam by Mr. McDade	32
Cross-exam by Ms. Campbell	37/40/42/43
Cross-exam by Mr. Rosenbloom	45/48
Cross-exam by Ms. Reeves	55/56/57
Cross-exam by Ms. Schabus	58
Cross-exam by Mr. Kelliher	62/65/66/67/68
Cross-exam by Mr. Taylor	71
Cross-exam by Mr. Coady	75
Re-exam by Mr. Martland	78/81
NELLIE GAGNE	
Cross-exam by Ms. Callan	2/3/4/8
Cross-exam by Mr. Blair	10/12/13/14/15/16/17/18
Cross-exam by Mr. McDade	19
Cross-exam by Ms. Campbell	39/41/42/43
Cross-exam by Mr. Rosenbloom	48
Cross-exam by Ms. Reeves	51/55/56/58
Cross-exam by Mr. Kelliher	64/65/66/67
Re-exam by Mr. Martland	80
PANEL NO. 67:	
SIMON JONES	
In chief by Mr. Martland	88/125
Cross-exam by Mr. Taylor	128/130
KIM KLOTINS	
In chief by Mr. Martland	84/85/88/89/98/100/104/110/111 113/116/117/118/121/122
Cross-exam by Mr. Taylor	129/130/132/133/136/142
STEPHEN STEPHEN	
In chief by Mr. Martland	84/86/105/110/112/116/121/124
Cross-exam by Mr. Taylor	129/130/132/133

TABLE OF CONTENTS / TABLE DES MATIERES

	PAGE
PETER WRIGHT	
IN chief by Mr. Martland	85/87/97/99/101/114/116/118
	121/122
Cross-exam by Mr. Taylor	138

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
2086	Document titled "Confidential Report by Dr. Kibenge	6
2087	Untitled chart comparing AVC and DFO methods for ISAV testing	11
2088	Email from Anne-Margaret MacKinnon to Ms. Gagné and others dated October 25th, 2011	23
2089	Statement of federal Minister Ashfield and provincial Minister McRae on ISA in British Columbia	24
2090	Document titled " Canada Completes Infectious Salmon Anaemia Testing: No Confirmed Cases in BC Salmon"	30
2091	Article by Walling, BCSFA, Vancouver Sun, November 24, 2011	31
2092	Powerpoint prepared by Dr. Kibenge, "Laboratory Issues, Aquatic Animal Diseases"	35
2093	Wild Sampling in Support of the National Aquatic Animal Health Program (NAAHP): Proposed Department of Fisheries and Oceans Activities for 2007-08	41
2094	Speaking for the Salmon, SFU Invitational Scientists' Think Thank, Managing for Uncertainty: Pathogens and Diseases in Pacific Salmon, November 30 and December 1, 2011	44
2095	ISAV Situation Report (Internal) Update #3, October 20, 2011	44
2096	Draft Backgrounder Infectious Salmon Anemia (ISA) Virus - Accepted Testing Methods, DFO	44
2097	Draft Media Lines & Qs and As ISAV interim results - Ongoing Investigation (DFO)	45
2098	News Conference November 8, 2011	45
2099	Inconclusive: Infectious Salmon Anaemia Virus in BC Salmon (DFO)	45
2100	Statement from Dr. Fred Kibenge, OIE Expert for ISA, November 17, 2011	45
2101	Email exchange between Timothy Davis and Kim Klotins and others re "PEI", October 19, 2011	52

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
2102	Email from Victoria Pedersen to Timothy Davis and others dated October 20, 2011 and attached draft Inspection Checklist - Animal Pathogen Containment Level 2 Facilities	54
2103	Aquatic Animal Health Division Directive dated January 19, 2011, Subject: Mandatory Notification of Reportable Aquatic Animal Diseases	90
2104	E-mail dated 11/4/2011 from Kim Klotins to Cornelius Kiley, Subject: Laboratory Result Notification of a negative test result	93
2105	Canadian Food Inspection Agency, Aquatic Animal Health Functional Plan Draft, September 1, 2010	93
2106	Canadian Food and Inspection Agency ISAV Hazard Specific Plan Draft, dated April 2011	94
2107	Situation Reports (Internal) #2 through #18 for the period October 19, 2011, to December 8, 2011	104
2108	E-mail dated 10/18/2011, from Ray Fletcher to Kim Klotins, et al, Subject: SFU samples	105
2109	Issue updates - as per calls with CFIA, for period October 18, 2011, to December 7, 2011	105
2110	E-mail dated November 9, 2011, from Joseph Beres to Stephen Stephen, Kim Klotins, et al, Subject: The Early Bird - November 9, 2011, ISAV	111
2111	CFIA-ACIA Inspection Checklist - Animal Pathogen Containment Level 2 Laboratories, Importer: Dr. Kibenge	114
2112	Surveillance Plan for ISAV, IPNV and IHNV in Anadromous Salmonids in British Columbia - November 2011	120
2113	Presence of Infectious Salmon Anaemia Virus nucleotide sequences in wild Pacific salmon and attached emails	124
2114	Emails between Simon Jones and Molly Kibenge dated February 2005	125
2115	Emails between Simon Jones and Molly Kibenge dated January 2006	125
2116	Email from Siddika Mithani to various people dated November 28, 2011	135

EXHIBITS / PIECES

<u>No.</u>	<u>Description</u>	<u>Page</u>
2117	Development of a Framework for International Certification by OIE of Diagnostic Tests Validated as Fit for Purpose	142

EXHIBITS FOR IDENTIFICATION / PIECES POUR L'IDENTIFICATION

QQQ	Summary of Animal Health Care Centre	9
RRR	Email from Dr. Kibenge to CFIA with <i>Hansard</i> references attached	35
SSS	Email from Timothy Davis to Kim Klotins and others re "DFO Lab Discussion" and attached PCR Checklist dated October 20, 2011	

1 Vancouver, B.C. /Vancouver
2 (C.-B.)
3 December 16, 2011/le 16
4 decembre 2011
5

6 MS. PANCHUK: The hearing is now resumed.

7 MR. MARTLAND: Mr. Commissioner, we begin today with
8 the continuation of the panel in the reduced form.
9 Dr. Kibenge and Ms. Gagné will face a series of
10 questions from participants. I expect that before
11 the mid-day break -- and today's session is such
12 that we run till 12:30, we have a break till 1:30
13 and continue through to 4:30 today. I expect that
14 we will conclude the first panel's evidence and at
15 least begin panel number 2 before the mid-day
16 break.

17 I have counsel next for the province with a
18 20-minute allocation.

19 MS. CALLAN: Mr. Commissioner, Tara Callan on behalf of
20 Her Majesty the Queen in Right of the Province of
21 British Columbia.
22

23 CROSS-EXAMINATION BY MS. CALLAN, continuing:
24

25 Q My first question is for Dr. Kibenge. How long is
26 the ISA viral sequence?

27 DR. KIBENGE: Okay. The virus has eight RNA segments
28 and they range in size from about 2.3 kilobases,
29 the longest segment, to about 970 bases in the
30 shortest segment. So the total -- I don't have
31 the exact size, but the total would be probably
32 the additional (indiscernible) with the longest
33 being 2.3 kilobases and then going down up to the
34 smallest which is segment 8 being 970 bases.

35 Q So somewhere between 8,000 and 20,000 base pairs
36 approximately?

37 DR. KIBENGE: Yeah, it should be. I don't have the
38 exact number, but at least I've given you the
39 range for each of the segments, the largest being
40 2.30 kilobases and the smallest being 970 bases.

41 Q Okay. Now, these RC-PCR (sic) tests are optimized
42 for Atlantic salmon. Can you describe problems
43 that may arise when using the same Atlantic salmon
44 PCR tests and applying them to other species such
45 as sockeye or chinook?

46 DR. KIBENGE: Yes. Actually, both the conventional RT-
47 PCR and the real-time RT-PCR were developed for

1 detecting the virus in -- from Atlantic salmon, so
2 the actual tests are designed to detect the
3 presence of the virus in -- from the fish in which
4 they developed disease, and I think they're fairly
5 consistent in detecting the virus in those species
6 -- in that species, Atlantic salmon.

7 When you apply the same test to the wild
8 fish, we run into problems because, first of all,
9 we don't know what is the best tissue to test, in
10 which case the tissue that will have the most
11 amount of virus. We also don't know how long that
12 virus will be in that particular tissue.

13 But the other thing is that we really don't
14 know the exact variation of this virus within
15 those species, so I would say that these tests are
16 not designed to particularly detect infection in
17 wild fish.

18 Q Now, Ms. Gagné, the province also did ISAV testing
19 on some of the fish from the chinook salmon
20 jaundice disease outbreak as well.

21 MS. CALLAN: And the results are outlined at Commission
22 counsel Tab 55, page 2, case number 2011-08-55, if
23 we could put that up on the screen, Mr. Lunn.

24 MR. LUNN: Could you just give me that information a
25 little bit more slowly, please.

26 MS. CALLAN: Commission counsel Tab 56, page 2, and
27 it's the same pink section that we discussed
28 yesterday. If you could scroll down a little bit
29 so the titles -- so it's clear that the titles are
30 showing so we can see which tests were conducted
31 on these fish. Thank you.

32 Q Ms. Gagné, would you agree that all of the six OIE
33 recommended primer sets were used to test these
34 fish?

35 MS. GAGNE: It looks like it, although the list of
36 assays in the OIE changes often in each of the
37 revisions of the manual, so I'm not sure if this
38 reflects the final list, but it looks like this is
39 the case.

40 Q Now, if you look at this document, this outlines a
41 number of reruns in all of the 2011 samples that
42 the province had, and you'd agree as well that all
43 of the -- well, the six OIE recommended primer
44 sets were also tested on all of these fish?

45 MS. GAGNE: This is what is showing here I think.

46 Q Thank you. My understanding is that viruses
47 change over time.

1 MS. GAGNE: Yes.
2 Q Now, some of the assays being discussed yesterday;
3 for example, the Plarre ISAV-7 test and the Plarre
4 ISAV-8 test, and the Snow ISAV-7 test outlined on
5 provincial document 12 were developed in 2005 and
6 2006?
7 MS. CALLAN: Mr. Lunn, if you could put that document
8 up?
9 MR. LUNN: If you just call me first, then I'll be able
10 to be listening for what you need.
11 MS. CALLAN: Sure. It's provincial Tab 12. That's the
12 right page.
13 Q Would either of the panellists agree that those
14 three tests, the first, second and fourth tests
15 were developed in 2005 and 2006?
16 MS. GAGNE: Yes.
17 Q Okay. And the research that went into that would
18 have been earlier than 2005 and 2006?
19 MS. GAGNE: Yes.
20 Q Have any new ISAV sequences been developed or
21 discovered since 2005 or 2006?
22 DR. KIBENGE: Yes. We have deposited a lot of sequence
23 particularly from Chile into the GenBank, and this
24 outbreak occurred from 2007 to probably highest
25 rates up to 2010.
26 MS. GAGNE: There's also other outbreaks or cases that
27 were submitted since then, in probably Norway, but
28 we don't have access to information. In the
29 Atlantic, there are.
30 Q So in order to stay current, to develop a proper
31 assay, it's necessary to keep it updated.
32 MS. GAGNE: Yes.
33 Q And then once you -- and one way to do that is by
34 regularly using GenBank and appropriate software
35 to develop one that targets all known strains or
36 variance?
37 MS. GAGNE: I would say mostly by reviewing the assay
38 you're using with additional sequences as they
39 become available.
40 Q Would you agree that that's the proper way to keep
41 current, Dr. Kibenge?
42 DR. KIBENGE: That is correct and actually in fact
43 that's what the OIE manual recommends.
44 Q So then once you do that procedure, then you must
45 conduct validation tests to ensure that what
46 you're picking up is actually ISAV; is that
47 correct?

1 DR. KIBENGE: Yes.

2 Q Now, this is what your labs do?

3 MS. GAGNE: Yes.

4 Q Dr. Kibenge as well?

5 DR. KIBENGE: Yes.

6 MS. CALLAN: Now, if we could turn to provincial Tab

7 10, Mr. Lunn. Yes, please.

8 MS. PANCHUK: Tab 12 is now marked as 2086.

9

10 EXHIBIT 2086: (See Exhibit 2041)

11

12 MS. CALLAN:

13 Q Would you agree based on a review of the document

14 that this is what the province does as well?

15 MS. GAGNE: That's what the document says.

16 MS. CALLAN: Okay. If we could have this marked as the
17 next exhibit.

18 MS. PANCHUK: Exhibit 2087.

19

20 EXHIBIT 2087: (See Exhibit 2048)

21

22 MS. CALLAN:

23 Q Now, I understand that you were asked by Dr.
24 Klotins to review the provincial primers in May as
25 a result of Ms. Morton's report of infectious
26 salmon anaemia; is that correct?

27 MS. GAGNE: May sounds correct, yes.

28 Q And are you of the opinion that the primer that
29 the province designed is designed to detect all
30 current known strains of ISAV?

31 MS. GAGNE: I can't remember exactly what was my
32 response. I don't remember seeing any big problem
33 in the assay, however. If you have -- I can't
34 remember exactly. There might be some mismatches
35 with some rarely detected strains of ISA, but I
36 can't exactly remember except I didn't see any
37 huge problems.

38 Q So you'd agree, then, that the provincial primer
39 set is a good primer set?

40 MS. GAGNE: It looks like it, and I can add that based
41 on Dr. Miller sequencing information provided
42 during this inquiry, it's showing on the parts of
43 -- the sequences that she has obtained that these
44 primers should detect ISA.

45 Q Now, I also understand that the province has done
46 some more follow-up ISAV testing so now there are
47 7002 negative tests for ISA?

1 MS. CALLAN: Mr. Lunn, if you could turn to provincial
2 Tab 1.

3 MR. MARTLAND: Mr. Commissioner, I just rise to make
4 sure our record accurately reflects things. The
5 last two marked exhibits are already exhibits to
6 our understanding. Mr. Lunn is nodding yes. My
7 notes is that 2086 was marked as 2041, and 2087 I
8 haven't yet been able to -- 2048. So my
9 suggestion, respectfully, would be we might cancel
10 the last two exhibit numbers and the record can
11 reflect the proper numbers. Thank you.

12 MS. PANCHUK: They've been cancelled.

13
14 EXHIBIT 2086: Withdrawn as previously marked

15
16 EXHIBIT 2087: Withdrawn as previously marked

17
18 MR. McDADE: Sorry, I just rise in relation to the
19 exhibit on the screen. I just want to object to
20 any admissibility of this unless it's established
21 in evidence.

22 MS. CALLAN: Well, Mr. McDade, I have just shown the
23 documents that show all the 2011 retests, so if
24 you want to start counting them up, but that's
25 what this document is going to summarize.

26 MR. McDADE: Well, that last document hasn't been
27 substantiated in evidence either. No witness has
28 identified that document as having any validity at
29 all.

30 MS. CALLAN: They were marked as exhibits yesterday and
31 obviously the province doesn't have any witnesses
32 on this panel or for the next three days, so I
33 submit that I just move on.

34 MR. MARTLAND: Mr. Commissioner, for our part, I think
35 it's fair, to put it mildly, that we've taken a
36 relaxed approach to the marking of exhibits. My
37 respectful suggestion would be it's more a
38 question of ultimately what use and what a
39 document can speak to. Those may be matters of
40 weight in submissions as opposed to receptibility
41 or admissibility.

42 I say that in the context of the way
43 documents have been marked here including, in many
44 situations, where obviously the author or someone
45 is unable specifically to speak to it.

46 THE COMMISSIONER: I was just going to say we've had
47 objections in the past, not unlike the one that

1 Mr. McDade has just addressed. My suggestion
2 would be, Mr. Martland, that we mark this for
3 identification purposes and counsel can make their
4 submissions accordingly following the evidence.
5 MR. McDADE: Mr. Commissioner, I think that's fair
6 enough in terms of marking the actual exhibit, but
7 my friend then goes on and says, "Well, the
8 exhibit says this, so you agree that there has
9 been that number of tests." That's a step too
10 far.

11 THE COMMISSIONER: What is the next exhibit letter?
12 Triple EEE? Triple EEE, thank you. Triple III.
13

14 MARKED III FOR IDENTIFICATION: (See Exhibit
15 QQQ for identification)
16

17 MS. CALLAN:

18 Q My understanding, would you agree that EEE (sic)
19 would indicate that 7002 ISAV tests were conducted
20 by the province?

21 MS. GAGNE: This is what the documents indicates.

22 Q Now, were these documents ever provided to
23 yourself in regards to any of the investigation
24 that you did on behalf of the federal government?

25 MS. GAGNE: No. No.

26 MS. CALLAN: If we could turn now to provincial Tab 7.

27 Q Dr. Kibenge, is this a report that you did?

28 DR. KIBENGE: Yes.

29 MS. CALLAN: Could we mark this as the next exhibit?

30 MS. PANCHUK: Exhibit 2086.
31

32 EXHIBIT 2086: Confidential report by Dr.
33 Kibenge
34

35 MS. CALLAN:

36 Q Now, Dr. Kibenge, would you agree that the lesions
37 SSC and HEM (sic) that were discussed in that
38 report are not evidence of ISA in Pacific salmon
39 and are non-specific symptoms otherwise?

40 DR. KIBENGE: Well, the lesions of ISA have only been
41 documented in Atlantic salmon, so as far as I
42 know, the Pacific salmon are not known to develop
43 ISA, so those would be not lesions of ISA in
44 Pacific salmon.

45 Q And you'd agree that if an Atlantic salmon was
46 shown to be having the SSC or the Heem lesion, a
47 PCR test would then indicate, if it were a

- 1 negative, that ISA wasn't present in that fish.
2 DR. KIBENGE: That is correct, but I'll qualify that
3 that depends on the specificity of that test.
4 Q Okay. Now, Dr. Kibenge, your wife, Mrs. Dr.
5 Kibenge (sic), Mrs. Molly Kibenge, she did a paper
6 which is in draft form and is at Commission
7 counsel Tab 29?
8 DR. KIBENGE: That's correct.
9 Q Okay. If we could turn to page 11 of the paper?
10 Now, would you agree that this paper discusses the
11 Cultus Lake sockeye samples and that it indicates
12 at the bottom of the first paragraph that the
13 nucleotide sequence of these inserts had identity
14 to ISAV only in the primer sequence?
15 DR. KIBENGE: Yes.
16 Q Now, what's the significance of that?
17 DR. KIBENGE: Well, you can look at it in several ways,
18 but in my view, for the primers to anneal, they
19 have to be homologous to the target. So clearly
20 they annealed to a target in these samples and the
21 sequence was amplified. The internal sequences
22 that we amplified were probably not identical to
23 those that had been deposited in the GenBank.
24 That's why only the primer sequences were
25 identical to the ISA virus.
26 The ISA virus stated here would be
27 corresponding to all those sequences that are
28 available in the GenBank at that time.
29 Q So it wasn't a match, then, for ISAV?
30 DR. KIBENGE: It wasn't.
31 Q Now, if we could turn to Commission counsel Tab
32 136 and there's three documents. I believe it's
33 either Exhibit 2054 or 2055, but it'll be the
34 third document that outlines a number of testing
35 results and has shaded results in it.
36 MR. LUNN: Before we go there, do you want to mark the
37 document on the screen? Oh, pardon me, it's been
38 marked. Thank you. I'm going to Tab 136. Is
39 that the tab you're looking for?
40 MS. CALLAN: It is the tab, but it's the last page, so
41 I think it's -- there's three documents that were
42 marked as separate exhibits in this one, so it's
43 not this one but the one after it.
44 MR. LUNN: I have three documents for this exhibit.
45 The first is an email, the second was Creative
46 Salmon ISA test results which is here.
47 MS. CALLAN: And what's the next one?

1 MR. LUNN: The next one is ISAV prevalence in the 1980s
2 which here on screen. There are two tabs there.
3 That's the second, the graph is the first tab.
4 That's all we have for this exhibit.
5 MS. CALLAN: Okay. Maybe if we could scroll over to
6 the left-hand side of the document. There should
7 be some shading in yellow.
8 MR. LUNN: I'll try the other tab. I think we're
9 there.
10 MS. CALLAN: Can you scroll right?
11 MR. LUNN: Ah, thank you. Is this what you're looking
12 for?
13 MS. CALLAN: That's what I'm looking for.
14 MR. LUNN: Okay. What section would you like?
15 MS. CALLAN: This is fine.
16 MR. LUNN: Okay.
17 MS. CALLAN:
18 Q Now, would you agree that if you look at these
19 test results, that some of the fish were positive
20 with one set of primers, other fish were positive
21 with another set of primers, and still other fish
22 were positive -- I think there's only one with
23 both sets of primers. Would you agree with that?
24 MS. GAGNE: Yes.
25 Q Now, would you agree that this supports the
26 conclusion that at least three different forms of
27 ISA were present among the population of fish?
28 MS. GAGNE: I wouldn't -- I don't think this
29 necessarily means that there's three different
30 forms of ISA. You have just PCR results with weak
31 signals. I wouldn't conclude what you said.
32 Q That's good. Would you then question these
33 results because the finding of three different
34 strains of ISAV in a single pen --
35 MS. GAGNE: With these results, we can't even say that
36 these are different strains of ISA we're finding.
37 We're finding signal using different pairs of
38 primers from different segments, and in one fish
39 you seem to be able only to detect one part of one
40 segment, and the other fish it's a different one.
41 This is difficult right now as it is to interpret
42 properly.
43 Q Would you agree that these tests showing all these
44 kind of conflicting and contrasting results
45 decrease the confidence that these results are
46 true positives?
47 MS. GAGNE: It certainly warrants more testing.

1 DR. KIBENGE: Could I comment? I think that the
2 results, in terms of the tests that were done, I
3 would consider them valid. My only concern here
4 would be that the test we are using probably is
5 not designed for the virus in these samples, and
6 therefore you may find that you are picking up
7 segment 8 in one fish, segment 7 in another. You
8 can't pick up both of them in the same fish, and
9 that's because probably the virus is not the same
10 as what these tests were designed to detect.

11 If you were to use this test in -- from
12 Atlantic salmon, I believe that segment 7 and
13 segment 8 would be in the same sample in the same
14 fish.

15 MS. CALLAN: Thank you. Those are my questions.

16 MS. PANCHUK: Province tab number 1 should be marked as
17 ID letter QQQ.

18
19 MARKED QQQ for Identification: Summary of
20 Animal Health Care Centre
21

22 MR. MARTLAND: Mr. Commissioner, there was a quiet
23 donation of time over to the province there, and I
24 think it leaves Mr. Blair with 18 minutes for his
25 allocation for the B.C. Salmon Farmers Association
26 next.

27 MR. BLAIR: Good morning, Mr. Commissioner. Alan Blair
28 appearing for the B.C. Salmon Farmers Association
29 and with my associate, Shane Hopkins-Utter.

30 Before I commence, I just want to put on the
31 record my sincere thanks to Mr. Lunn, who I think
32 we've all thanked from time to time, but as we sit
33 here in this august chamber where I think we
34 should be signing strategic arms limitation
35 treaties, I'm reminded every time I look at Mr.
36 Lunn going through these documents, that we've
37 given him a very tall order which he performs
38 admirably every day. So thank you, sir.
39

40 CROSS-EXAMINATION BY MR. BLAIR, continuing:
41

42 MR. BLAIR: On that count, might we go to Commission
43 document number 24. It's a bit of a test. Once
44 again, you succeed.

45 Q This was described in the Commission's documents
46 that were prepared as an untitled chart, comparing
47 AVC and DFO methods for ISAV testing. My

1 questions are really to both panel members.
2 Firstly, have either of you seen this document?
3 Ms. Gagné?
4 MS. GAGNE: Yes.
5 Q Yes?
6 DR. KIBENGE: Yes.
7 Q And I think it's fairly self-explanatory on the
8 face of it, but just for the record, this was an
9 audit prepared and I'm going to ask by whom, but
10 it was an audit prepared of your operation under
11 the heading "AVC", correct, Dr. Kibenge?
12 DR. KIBENGE: Would you repeat the question?
13 Q Yes. The references to AVC refer to your lab, the
14 Atlantic Veterinarian College?
15 DR. KIBENGE: That's correct.
16 Q And this was an audit of your facilities? That
17 column is an audit of your facilities?
18 DR. KIBENGE: Of my lab, yes, that's right.
19 Q Yes. And where it says "DFO", do we know, Ms.
20 Gagné, whether this is your lab or DFO labs
21 generally, because it's not clear to me.
22 MS. GAGNE: No, this is our lab.
23 Q All right. Thank you for that clarification. And
24 there's an audit done but we don't know -- I don't
25 know from this document exactly by whom. Was it
26 done by DFO, by CFIA or -- can one of you shed
27 light on that?
28 MS. GAGNE: I'm tempted to say that it was done by the
29 Commission's counsel. No?
30 Q I hope not.
31 MS. GAGNE: I saw this document and I couldn't figure
32 who had done that. It's a review of our
33 procedures, but it was never authored, so...
34 MR. BLAIR: Commission counsel just wanted to know if
35 he was unclear who prepared it. I should ask my
36 junior. He might actually know. We can cover off
37 who the author was perhaps by the next panel or
38 even before this panel closes. The document was
39 from Canada, so perhaps before the end of the day
40 Canada can also add some light to it.
41 Q But you've both seen the document and you both
42 recognize the columns. Dr. Kibenge, the AVC
43 reference is an audit of your lab, and the DFO
44 references, Ms. Gagne, is an audit of your lab,
45 correct?
46 MS. GAGNE: Yes.
47 Q And this conclusion under the word "Significance"

1 -- and it's a two-page document, correct? You see
2 the two pages?

3 MR. BLAIR: Perhaps you just scroll to the second page.
4 I've just been handed a note which tells me it's a
5 CFIA audit, so we'll try to establish that in viva
6 voce evidence before the end of Monday.

7 MR. TAYLOR: (Microphone not on)...microphone but I can
8 still confirm that there is a witness upcoming
9 that can identify this.

10 MR. BLAIR: Thank you. I'm in the Commissioner's
11 hands. I'd prefer to have it marked as an exhibit
12 and identify it more fully later, if we may.
13 Thank you.

14 MS. PANCHUK: Exhibit 2087.

15
16 EXHIBIT 2087: Untitled chart comparing AVC
17 and DFO methods for ISAV testing
18

19 MR. BLAIR: Thank you.

20 Q Now, I want to direct your attention, panel
21 members, and to the participants, to three
22 specific sections. Others may direct you
23 elsewhere, but section number 2, number 7 and
24 eventually number 11. And as it relates to
25 section number 2, the heading is "RNA Extraction",
26 and my question for you, Dr. Kibenge, is there's a
27 reference in the "Significance" column - that's
28 the column on the far right - for potential of
29 cross-contamination existing at your lab. Just
30 take a moment, please, to review that section.
31 I'd ask you, in fairness, to comment on those
32 conclusions, please.

33 DR. KIBENGE: Yeah, that was the comment. That was the
34 opinion of the people who were on the site visit.
35 But, in my view, that statement was made based on
36 what they were looking for. We don't have any
37 cross-contamination in our practices as we are
38 processing these samples. So they could --
39 potential for cross-contamination, but I believe
40 that though we handled those samples, there was no
41 cross-contamination.

42 Q So the findings of the CFIA audit refer to the
43 potential of cross-contamination and you rule that
44 out as an impossibility, or just you feel that the
45 samples in question, they weren't cross-
46 contaminated.

47 DR. KIBENGE: We ruled it out, and that's why we put

1 the results we got. We were confident that the
2 results we got were not as a result of cross-
3 contamination.

4 Q So do you disagree with the finding of the audit?
5 DR. KIBENGE: Well, I have some disagreements in some
6 sections, yes.

7 Q And down in section 11 where it says "Internal
8 Controls" and, to be fair, there's a reference
9 under both headings describing how -- what
10 internal controls both labs have. And, Ms. Gagné,
11 section 7 under DFO, it ends with -- it says:

12
13 Results indicated RNA degradation in the
14 samples received by DFO.

15
16 And I note no similar description under the AVC,
17 but the conclusion, Dr. Kibenge, is:

18
19 This could be significant since we have no
20 indication of the quality of the samples that
21 AVC got positive results for.

22
23 So taking us through those three boxes again,
24 there's a comment on the RNA degradation
25 potentially received by DFO. Ms. Gagné, you see
26 that? Box 7.

27 MS. GAGNE: Box 7, yes.

28 Q Under your column, you see that notation?

29 MS. GAGNE: Yes.

30 Q And, Dr. Kibenge, you see no similar notation, in
31 other words, no knowledge of, I gather. The
32 quality of the samples received by AVC, I'm
33 correct, there's no acknowledgement of the quality
34 of the samples, no acknowledgement of the quality
35 here in this table?

36 DR. KIBENGE: Well, yeah, that's --

37 Q In the table.

38 DR. KIBENGE: That's the opinion of the site visit, but
39 in our processing, when we receive the samples, we
40 are confident that they're fairly fresh and we
41 process them on that condition.

42 The samples that were received by Ms. Gagné
43 were actually from our lab. So they were at a
44 different stage from where the samples came to our
45 lab.

46 MR. MARTLAND: Mr. Commissioner, I'm not objecting to
47 the question formally, but I do just want to place

1 on record I don't think the evidence to this point
2 established this to be findings of the CFIA audit.
3 Maybe we'll get that evidence or maybe not, we're
4 not there yet. So perhaps as Mr. Blair -- I don't
5 have a difficulty with him putting these points to
6 Dr. Kibenge, but perhaps the question can be
7 tempered with that in mind.

8 MR. TAYLOR: I'm going to rise to clarify without a
9 microphone, that Mr. Martland said it's a CFIA
10 audit. It's a CFIA commissioned audit. We'll
11 hear more, I think, in the upcoming panel what it
12 is and who did it.

13 MR. BLAIR: Thanks to both counsel for your comments.
14 I just really want to be on record, both Dr.
15 Kibenge and Ms. Gagné's counsel are required to be
16 fair to a witness, and if we're going to ask other
17 people to comment on a document, then we are to
18 put it to the two of you since it really relates
19 to your operations, and I'm going through that
20 procedure. So it's important and instructive for
21 all of us to hear what your views are on what's
22 written here. Perhaps through Mr. Taylor's
23 examination of witnesses in the next day-and-a-
24 half or so will determine who exactly did it. But
25 that's the purpose for this inquiry on this
26 particular document, just for your clarity.

27 Flipping the page electronically and
28 otherwise, Mr. Lunn, to "Positive Controls".
29 You'll see the "Significance" box.
30

31 ISAV RNA is a potential source of cross-
32 contamination. Furthermore it makes it
33 distinguishing between true positives and
34 contamination with positive control
35 difficult.
36

37 Dr. Kibenge, do you see that last box in the far
38 right column? Firstly, do you agree with that
39 statement?

40 DR. KIBENGE: I see the box and I do not agree with
41 that statement.

42 Q Ms. Gagné, do you see the box and do you agree
43 with the statement?

44 MS. GAGNE: I see it, and I agree with the statement.

45 Q Now, just to be clear, Dr. Kibenge, you disagree
46 with the statement generally? And I want to be
47 fair to you; I'm not suggesting this is a finding

1 of your lab. I'm asking you fundamentally do you
2 disagree with that statement in total?
3 DR. KIBENGE: Completely. Based on the work we've done
4 and through my experience with other labs, I
5 wouldn't accept that statement as being a true
6 fact.
7 Q All right, thank you.
8 DR. KIBENGE: What was stated.
9 Q This may have been covered by you earlier or by
10 other panel members, but I'm not sure that I had
11 it clear in my mind. But the tests that were done
12 did not confirm the presence of ISA, and you both
13 agree that further tests are needed to draw that
14 conclusion, Dr. Kibenge?
15 DR. KIBENGE: The tests that we did and the positive
16 results we obtained were for the presence of ISA
17 virus sequences and not for the disease ISA. The
18 disease ISA can only be found in farmed Atlantic
19 salmon. We never got any farmed Atlantic salmon
20 samples. We tested wild Pacific salmon samples,
21 and those species are not known to have ISA as far
22 as I know.
23 Q So you agree with the statement that I put to you.
24 DR. KIBENGE: Can you please repeat that statement?
25 Q Certainly. Nothing you did -- your tests did not
26 confirm the presence of ISA and further tests are
27 needed to draw that conclusion. You agree with
28 that?
29 DR. KIBENGE: We didn't test for ISA. We tested for
30 ISA virus sequences.
31 Q You agree.
32 DR. KIBENGE: Yes.
33 Q I keep wanting to call you "Doctor", if you don't
34 mind. We're using that term liberally here,
35 Doctor. Ms. Gagné --
36 MS. GAGNE: Yes, I --
37 Q -- do you agree with that?
38 MS. GAGNE: Repeat the statement again?
39 Q Certainly. Are you aware of tests either done by
40 yourself or by Dr. Kibenge's lab which confirmed
41 the presence of ISA?
42 MS. GAGNE: Of ISA, the disease?
43 Q ISA, the disease.
44 MS. GAGNE: Oh, no.
45 Q And do you agree that further tests are necessary
46 to draw that conclusion?
47 MS. GAGNE: Yes.

1 Q I believe we heard evidence that there was a
2 culturing of a new strain of ISA, or perhaps it
3 was ISAV, but is there some work being done on the
4 east coast and an east coast strain -- I want to
5 be clear that no one's suggesting there's been a
6 culturing of a new strain of whatever's been found
7 related to British Columbia waters and British
8 Columbia fish. Dr. Kibenge?
9 DR. KIBENGE: The culturing of the new strain on the
10 east coast you're referring to?
11 Q I just want to be clear that there's no culturing
12 of a new strain on the west coast, correct?
13 DR. KIBENGE: I don't think right now we have any
14 information on that.
15 Q Ms. Gagné?
16 MS. GAGNE: You were mentioning culture of new strain
17 on...?
18 Q My note is that there's some reference in the
19 evidence of a culturing of a new strain, and
20 perhaps our notes are --
21 MS. GAGNE: On the east coast?
22 Q You tell us. We just want to be clear whether
23 it's east or west and maybe it's neither.
24 MS. GAGNE: You may be referring to cases from PEI,
25 or...?
26 Q If you're not familiar with it, we'll just --
27 MS. GAGNE: No.
28 Q -- move to the next question.
29 MS. GAGNE: No.
30 DR. KIBENGE: Can I just clarify?
31 Q Please.
32 DR. KIBENGE: We cultured a new strain of ISA virus out
33 of samples in PEI in 2009.
34 Q Yes.
35 DR. KIBENGE: That information was shared here
36 yesterday --
37 Q Yes.
38 DR. KIBENGE: -- where we showed that the new strain
39 had actually a mutation of nine amino acids in the
40 hemagglutinin as there is (indiscernible).
41 Q And is that -- was that related to east coast
42 fish?
43 DR. KIBENGE: Yes, to fish in PEI, Prince Edward
44 Island.
45 Q Thank you. Ms. Gagné, these are always difficult
46 questions when you're sitting on a panel next to
47 somebody we're going to ask you questions about

1 their lab, but I'm afraid I must. You've had an
2 opportunity to look at this CFIA-commissioned
3 audit that is exhibit before you, and I have to
4 ask you, based on the audit and the findings in
5 the "Significance" columns, would you be concerned
6 for the testing quality and the possibility of
7 cross-contamination at the AVC lab?

8 MS. GAGNE: There's several indications that tells us
9 that the samples submitted after the first
10 notification of ISA were compromised. There was
11 other sockeye salmon collected after the --
12 similar to the -- the same source as the 40 first
13 ones sent to Dr. Kibenge. These sockeye were
14 probably collected at the same time and kept in
15 the same manner. When they reached our lab, they
16 were degraded. We had to test first almost 300
17 hearts from those fish. The rev gene assay we do
18 looks for genes in the salmon tissue. This is how
19 we determine the quality of the sample.

20 That rev gene normally shows up, and now I
21 think people are getting familiar with Ct values
22 and stuff. That rev gene shows up before 20
23 cycles usually, 20 Ct around. In these samples,
24 there was no Ct, and then we were questioning even
25 ourselves because we have never seen that.
26 Usually our program sample fish and they are
27 preserved in the proper manner.

28 So we tested them on an additional machine
29 that we don't use routinely, and we showed that
30 there were -- there were degradation of RNA to a
31 point where there was no detectable rev gene in
32 those sample.

33 Based on that, the ISA testing was done and
34 found to be negative, and we had to report them as
35 inconclusive. All the samples submitted after
36 that, even samples that came directly from
37 Kibenge's lab and that were tested in his lab and
38 reported as PCR positive had the same level of
39 degradation. So, for us, it is hard to imagine
40 that if there was traces of ISA viral genome in
41 there, that it has survived due to that
42 degradation. This is also an RNA virus that
43 degrades like the RNA of the fished.

44 So based on the rev gene showing extensive
45 RNA degradation, the RNA from the virus must have
46 degraded also. Since we're talking of very minute
47 amounts in well-preserved sample right now, I

1 don't see how it can be detected in degraded
2 sample.

3 Q Thank you.

4 DR. KIBENGE: Could I comment on...?

5 Q Certainly.

6 DR. KIBENGE: I just want to comment on the rest of the
7 internal control gene that is used to verify the
8 quality of the samples. The internal control gene
9 that I am aware of that is in the OIE manual,
10 which is the internal elongation factor, I believe
11 that that fact actually -- the gene is based on
12 the gene that is found in Atlantic salmon. I'm
13 not sure whether you can use the same gene when
14 you're working with samples from the Pacific
15 salmon.

16 MS. GAGNE: May I respond?

17 DR. KIBENGE: And I thought that probably Dr. Are
18 Nylund endorse or made some reference to that
19 sometime. But -- so we have to keep in mind that
20 actually the tests that we are using, we had
21 developed for farmed Atlantic salmon and all those
22 controls worked very well.

23 When we did samples from other species, we
24 have to be careful that we are not ruling out
25 important results.

26 MS. GAGNE: The rev gene assay we do is developed for
27 each of the species submitted, so in this case,
28 our control was a properly preserved sockeye
29 sample from the same type of tissue, a heart
30 sockeye properly preserved. So that's why I say
31 the rev gene was tested and developed for this
32 specie and we showed that it was producing a value
33 of about 20 Cts in a normal sample. In these
34 samples, there was no Ct, showing extensive
35 degradation as I said.

36 Q But for the fact that these samples came to you as
37 a result of all of the discussion around this
38 inquiry and ISAV, what would you have done in the
39 normal course, Ms. Gagné, had you received samples
40 of --

41 MS. GAGNE: Normally, we would have --

42 Q -- samples of this quality. What would you have
43 done?

44 MS. GAGNE: We would reject them because they don't
45 meet criterias for testing. We can test them, and
46 if there was something positive in there, we would
47 not dismiss a positive result, and we would follow

1 procedures. But negative results are reported as
2 inconclusive based on the quality of the tissues.
3 Q So you would not have tested these fish because --
4 MS. GAGNE: Normally they would be -- we would rather
5 start from properly preserved samples instead of
6 working and having to always report "inconclusive"
7 which is partly not productive (sic) or --
8 Q Productive.
9 MS. GAGNE: Yeah, productive.
10 MR. BLAIR: Okay. Thank you both --
11 DR. KIBENGE: Could I also add on that?
12 MR. BLAIR: Certainly. I think I have three minutes.
13 DR. KIBENGE: Yeah, I'll be brief. Dr. Are Nylund, I
14 think, was of that view that samples were degraded
15 and he tested them anyway. But the point to make
16 is that the test is looking for the template of
17 the virus in the sample. If that template is
18 degraded because the sample is degraded, the most
19 likely result you will get is a negative, not a
20 positive. So that should be kept in mind.
21 MS. GAGNE: Except if you have cross-contamination from
22 something that is -- you can detect a cross-
23 contaminant in a degraded sample.
24 MR. BLAIR:
25 Q Which of course was the "Significant" column that
26 I referred you both to in the audit; is that
27 correct, Ms. Gagné?
28 MS. GAGNE: Yes.
29 DR. KIBENGE: Yeah, but again, in the results we
30 reported, we had ruled out cross-contamination.
31 If you have cross-contamination in your practices,
32 you cannot actually report the results.
33 MS. GAGNE: You have to run several blanks along the
34 sample to show if there is cross-contamination.
35 MR. BLAIR: Thank you both for your thoughts. We
36 haven't had a ping-pong match like this in a
37 couple of months. Thank you.
38 MR. MARTLAND: I think that excludes objections. The
39 next counsel is counsel for the Aquaculture
40 Coalition, 20 minutes.
41 MR. McDADE: Thank you. Witnesses, again, my name is
42 Gregory McDade. I'm counsel for the Aquaculture
43 Coalition. I'll have a few questions for each of
44 you.
45
46
47

1 CROSS-EXAMINATION BY MR. McDADE, continuing:
2

3 MR. McDADE: Could we have Aquaculture document 6 on
4 the screen, please, page 2. Can we scroll down a
5 bit there? Yes, thank you.

6 Q So, Ms. Gagné, I just want to confirm. Prior to
7 October 25th, 2011, after all this issue arose,
8 you'd never had sockeye tissues in the lab before?

9 MS. GAGNE: This email says that -- I think the sockeye
10 tissues were in the process of being tested for
11 the rev gene assay we use. Prior to this
12 notification, because we don't work on Pacific
13 salmon normally, we didn't have the tissue so we
14 had to acquire fresh tissue from the source.

15 Q So your lab has no experience at all in testing
16 Pacific salmon.

17 MS. GAGNE: We don't test Pacific salmon. This is done
18 at the PBS lab and the Fish Health group.

19 Q All right. Would you agree with me that Dr.
20 Kibenge's credentials and his experience and his
21 training is at least equal to or greater than
22 yours?

23 MS. GAGNE: I agree.

24 Q And he's an OIE referenced lab, and that is a
25 significant qualification.

26 MS. GAGNE: It is.

27 Q You don't question the competence of his lab in
28 any way, do you?

29 MS. GAGNE: I don't question the competence of the lab,
30 but it was mentioned, I think yesterday, you can
31 have a very, very good assay and you need to run
32 it properly. This is where maybe -- and I don't
33 assume this is a typical incident, but we know
34 ourselves because we use these assays and we've
35 developed these assays. We know how sensitive
36 they are and how relatively easy it is to get
37 false positives. That's why I am cautious with
38 results I have seen.

39 Q But you don't -- you wouldn't call what he did to
40 be unsound science, would you?

41 MS. GAGNE: I would have taken additional precautions.
42 I would have liked to see blanks introduced
43 alongside the sample so you can detect cross-
44 contamination during the extraction, not just a
45 PCR water blank. There are several steps during
46 the PCR process from the extraction to the actual
47 final result, and in all these steps, there are

- 1 chances to introduce contamination and you have to
2 control that. I haven't seen that in all the
3 procedures they use.
- 4 Q So are you in agreement -- are you going to sit
5 here in front of the Commission and say that you
6 agree -- or you would suggest that Dr. Kibenge's
7 lab was exercising unsound science?
- 8 MS. GAGNE: There are several things in the audit that
9 shows deviation from what should be done in a
10 diagnostic lab using PCR assays.
- 11 Q Dr. Miller's credentials and experience and
12 knowledge are greater than yours as well, aren't
13 they?
- 14 MS. GAGNE: In what field?
- 15 Q Molecular genomics.
- 16 MS. GAGNE: In molecular genomics, certainly.
- 17 Q Her experience and skill in running a laboratory
18 -- her laboratory would be equal to or greater
19 than yours?
- 20 MS. GAGNE: A diagnostic lab or a research lab for
21 genomics? Be precise, please.
- 22 Q All right. Well, either one.
- 23 MS. GAGNE: For a diagnostic lab, certainly not. For
24 research and genomics, yes.
- 25 Q You -- would you say your lab is superior to hers
26 or equal?
- 27 MS. GAGNE: It's not what I'm saying. I'm saying that
28 we are running a diagnostic lab using procedures
29 validated for diagnostic diseases. It's
30 different.
- 31 Q So are you saying that the Moncton Lab is superior
32 to the Nanaimo Lab?
- 33 MS. GAGNE: That's not what I'm saying.
- 34 Q All right. You've heard the evidence that the
35 machines she uses are more sensitive for the
36 detection of ISA than your machine?
- 37 MS. GAGNE: I don't think we have seen that. We have
38 seen different primers, we have seen different
39 pre-amplification, we have seen various things.
40 We have not seen everything.
- 41 Q The through-put of her lab is far superior to
42 yours?
- 43 MS. GAGNE: For what she does, yes.
- 44 Q Would you say that her lab does unsound science?
- 45 MS. GAGNE: No.
- 46 Q You'd agree that the DFO Lab in Nanaimo is sound
47 science. You're not being critical of them.

- 1 MS. GAGNE: I'm not critical of that.
- 2 Q But you're critical of Dr. Kibenge's lab?
- 3 MS. GAGNE: I'm critical probably just of the lack of
4 precautions that are -- should be in place in a
5 diagnostic lab. But apart from that, there is
6 several very good research done at the AVC lab.
- 7 Q Now, I think I heard yesterday and again today
8 that your findings on the original 48 samples were
9 inconclusive.
- 10 MS. GAGNE: Mm-hmm, that's what we said.
- 11 Q You couldn't say they were negative, as I
12 understand it, because they were just too degraded
13 to be able to say that.
- 14 MS. GAGNE: They were negative, but they were so
15 degraded that this is not usually what we would
16 require for testing to be confident in the result
17 we report.
- 18 Q Yes. Under your protocols, your reports were
19 inconclusive.
- 20 MS. GAGNE: Yes.
- 21 Q It would be wrong to say they were negative.
- 22 MS. GAGNE: They were negative, but the quality of the
23 tissue was such that reporting a negative in this
24 case means if there was something there, it's
25 degraded now.
- 26 Q Right. By the time you got the samples, they were
27 in far worse shape than they were for Dr. Kibenge,
28 weren't they?
- 29 MS. GAGNE: I wouldn't say that. I haven't seen any
30 proof of that.
- 31 Q You don't know, do you?
- 32 MS. GAGNE: They were -- we received parallel samples.
33 That's one indication that the degradation was in
34 all the samples sent at this part of the
35 notification. We received also samples preserved
36 in -- samples processed in his lab, homogenates,
37 and these usually -- you take your sample, you
38 freeze the rest. There is no degradation time
39 during the process. So we received them frozen
40 and they were degraded. So these are -- the only
41 samples that were exactly the same as those
42 processed in his lab are these homogenates.
- 43 Q In sample 38 you found a weak positive.
- 44 MS. GAGNE: Yes.
- 45 Q But you rejected it because Dr. Kibenges (sic)
46 found a negative.
- 47 MS. GAGNE: No, it's not the reason why we rejected it.

1 It's because we couldn't repeat it. We tried many
2 times. We always do so. We never reject a
3 positive signal from the machine, but remember
4 that the machine just reports a fluorescent
5 signal. A fluorescent signal is not much at that
6 stage unless we keep confirming that is really an
7 ISA signal.

8 Q But you did receive a positive.

9 MS. GAGNE: A positive fluorescent signal in one
10 replicate at the very end of the method that could
11 never have been reproduced. The company itself,
12 if you look into their documentations, and even if
13 you call technical services, will confirm what I'm
14 saying. There are occasional signals produced
15 that are just fluorescence from the probe, and
16 that's the reason why you should have always your
17 duplicate well showing a result, because a single
18 signal like that could just be non-specific
19 fluorescence.

20 Q Did you advise your superiors that you received a
21 positive sample in the group of 48?

22 MS. GAGNE: I did, but at that stage I said -- like
23 usually I wouldn't even, at that stage, because
24 we're not finished testing. But, at that point, I
25 just mentioned that, and that we would, as usual,
26 continue testing that sample to make sure this
27 signal was true or not.

28 Q But it would be wrong, in your view, to say that
29 the samples were all negative.

30 MS. GAGNE: This was not a positive sample based on our
31 policy. We have a policy that we apply
32 systematically, and this was not a positive
33 sample.

34 Q Well, on your policy it was an inconclusive
35 sample.

36 MS. GAGNE: It's like the others, yes.

37 Q Well, it's not like the others in that it had a
38 weak positive.

39 MS. GAGNE: It's a signal, a fluorescent signal. It's
40 not even at that point an ISA confirmed positive
41 result.

42 Q My question, though, again to you is did you tell
43 your superiors that you had found a positive?

44 MS. GAGNE: I told them that we had a signal in one
45 well, not replicated, close to 38 Ct. This is the
46 limit of the detection. And that we would follow
47 normal procedures to try to repeat that signal and

1 it didn't happen, so...

2 MR. McDADE: Can I have Aquaculture document 7 on the
3 screen? This may have been an exhibit.

4 MR. MARTLAND: I think the last document wasn't marked.

5 MR. McDADE: Oh, the last document was marked?

6 MR. MARTLAND: Was not.

7 MR. McDADE: Oh, could we mark that?

8 MS. PANCHUK: Exhibit 2088.

9

10 EXHIBIT 2088: Email from Anne-Margaret
11 MacKinnon to Ms. Gagné and others dated
12 October 25th, 2011
13

14 MR. McDADE: And next, then, Aquaculture 7. I think,
15 Mr. Martland, this has been marked before but I
16 don't have the number.

17 MR. MARTLAND: It has been marked by consent. We'll
18 try and find you your exhibit.

19 MR. McDADE: Okay.

20 Q So this is a statement from the Minister, your
21 Minister in conjunction with the B.C. Minister of
22 Agriculture on November 9th. You've seen this
23 before?

24 MS. GAGNE: I may have seen it, but there have been
25 several of those, so I don't have -- I don't think
26 I've read this one.

27 Q If you would look at the second-last paragraph,
28 the statement in the first line about policy
29 decisions of -- based on sound science, and in the
30 fourth line:

31

32 ...reckless allegations based on incomplete
33 science.
34

35 Would you agree with those statements in reference
36 to the findings of the PEI lab, Dr. Kibenge's lab?

37 MS. GAGNE: We ourselves have published papers, and we
38 are always -- my first reaction when we start
39 working on a new project, on a new disease or
40 something, is to have total confidence in the
41 results we obtain. In this situation, I think
42 that results were produced quickly without the
43 proper time to verify them, confirm them. And I
44 think it's in the sense that, for me, that's how I
45 interpret "reckless allegations" in the sense that
46 just -- just a few precautions to confirm things
47 properly before making a detection like that

1 public would have been a better route.

2 Q Would you have made statements of this kind as a
3 scientist?

4 MS. GAGNE: Reckless allegations? Or what statement?

5 Q "Incomplete science."

6 MS. GAGNE: I don't know if I may have worded that
7 differently myself, but incomplete science, yes.

8 Q Were you consulted about these statements?

9 MS. GAGNE: No.

10 MR. TAYLOR: This isn't a federal Minister.

11 MR. McDADE: Minister Ashfield?

12 MR. TAYLOR: I thought you were looking at the second-
13 to-last paragraph?

14 MR. McDADE: This is a joint statement as I understood
15 it.

16 MR. TAYLOR: Well, the paragraph begins:

17

18 Minister McRae noted...

19

20 MR. McDADE: Yes, I understand this was approved by the
21 federal government.

22 Q The question was, was (sic) you consulted and I
23 think the answer was no.

24 MS. GAGNE: I am not approving those statements, no.

25 MR. McDADE: All right. Can we go to Tab 43 of
26 Aquaculture documents?

27 MR. MARTLAND: And, Mr. Commissioner, if I can just
28 assist on documents, we thought that the last
29 document was marked. We thought -- it's quite
30 similar to something which is Exhibit 2021, but it
31 is different, so I'd suggest that the last
32 document Mr. McDade was referring to ought to be
33 marked as an exhibit.

34 MS. PANCHUK: Exhibit 2089.

35

36 EXHIBIT 2089: Statement of federal Minister
37 Ashfield and provincial Minister McRae on ISA
38 in British Columbia

39

40 MR. McDADE: Tab 43. I'll just ask to mark that before
41 I forget.

42 MS. PANCHUK: Exhibit 2090.

43

44 EXHIBIT 2090: (See Exhibit 2021)

45

46 MR. McDADE: If we could zoom in on the third paragraph
47 there, this is a document from the Canadian Food

- 1 Inspection Agency.
- 2 Q Have you seen this document before?
- 3 MS. GAGNE: I may have.
- 4 Q And you'll see in the third paragraph [as read]:
- 5
- 6 DFO has tested all 48 samples received as
- 7 part of the original reports and the results
- 8 are all negative for the virus.
- 9
- 10 MS. GAGNE: Mm-hmm, yes.
- 11 Q That's not your finding. Your finding was they
- 12 were inconclusive, wasn't it?
- 13 MS. GAGNE: There may be a line in the bottom about the
- 14 quality statement, I'm not sure.
- 15 Q This statement is misleading and contrary to your
- 16 policy, isn't it?
- 17 MS. GAGNE: There was no virus found, definitely, so
- 18 it's not misleading in the sense they were
- 19 negative for the virus.
- 20 Q Your findings were inconclusive. Your findings
- 21 were you couldn't possibly find virus in these
- 22 because of the --
- 23 MS. GAGNE: I have seen -- what's the word -- I have
- 24 seen qualifying statements in some of these
- 25 reports regarding the quality, so if you read
- 26 below or -- you will find probably something about
- 27 -- maybe not in this document, but later on it was
- 28 clarified.
- 29 Q You need to clarify it, you're right. In other
- 30 documents, there are clarifying statements because
- 31 otherwise that statement is very misleading, isn't
- 32 it?
- 33 MS. GAGNE: It says "negative for the virus". I don't
- 34 see anything untrue for that. However, as --
- 35 you're right, there's an inconclusive result
- 36 because of the quality. We didn't find the virus,
- 37 still it's true, so...
- 38 Q Well, you found one positive, didn't you?
- 39 MS. GAGNE: We didn't find a positive. We found a
- 40 signal, a fluorescent signal that we couldn't
- 41 repeat.
- 42 Q Would you agree with me without the qualification,
- 43 this is misleading to the Canadian public, isn't
- 44 it?
- 45 MS. GAGNE: You will see if you read further in this
- 46 communication or further communications that the
- 47 qualifying statement is there.

1 Q Well, the qualifying statement isn't here. I'm
2 wondering what qualifying statement you mean.
3 This is the document that's on the website.

4 MS. GAGNE: This is a document from November 9. There
5 has been several documents. The qualifying
6 statement has appeared several times. I have seen
7 it myself. I don't know if it's in the bottom of
8 this one somewhere, but it's been -- it's been
9 showing up several times for sure.

10 Q And the qualifying statement would be what?

11 MS. GAGNE: That the quality of the test, in this case,
12 we report them as inconclusive in the sense that
13 there is such degradation of the materials
14 submitted that --

15 Q As a responsible scientist, you would have
16 insisted upon that qualifying statement, wouldn't
17 you?

18 MS. GAGNE: Sorry, repeat?

19 Q As a responsible scientist, you would have
20 insisted on that qualifying statement, wouldn't
21 you?

22 MS. GAGNE: Probably, but the date -- the problem is
23 that the date -- this is kind of early in the
24 response. We may have added the qualifiers soon
25 after that, but I cannot answer to that. This is
26 November 9. There were so many statements
27 produced later on, so...

28 MR. McDADE: I'm advised, Mr. Commissioner, that the
29 last document was already Exhibit 2021, so can we
30 just withdraw the 2090?

31

32 EXHIBIT 2090: Withdrawn as formerly marked.

33

34 MR. McDADE: Can I go to Tab 41? Has that been marked?
35 It's the statement of the Ministers from December
36 2nd.

37 MR. MARTLAND: Exhibit 2004.

38 MR. McDADE: Thank you.

39 Q In the third paragraph -- well, the first actual
40 quote from the federal Minister is:

41

42 ...because of speculation and unfounded
43 science...

44

45 Do you agree with that statement or is that an
46 overstatement? "Unfounded science".

47 MS. GAGNE: I'm not a communication expert so

1 "unfounded" is probably -- we could have a debate
2 over the word.

3 Q You were aware by December 2nd, weren't you, that
4 your PBS lab was finding ISA virus?

5 MS. GAGNE: I don't remember exactly when I became
6 aware of that. What date did you say?

7 Q By the date of this document, December 2nd.

8 MS. GAGNE: Honestly I'm not sure when exactly. It's
9 the beginning of the month probably that I became
10 aware of it, but I'm not sure when exactly.

11 Q This document would be misleading if you were
12 aware of that, wouldn't you -- wouldn't it?

13 MS. GAGNE: I don't think so.

14 MR. McDADE: Can we go to document -- I think it's 12.

15 MS. GAGNE: Just remember that we have repeated several
16 times there is a difference between an ISA segment
17 and an ISAV, a virus.

18 MR. McDADE:

19 Q Did you ever, at any time, speak up to your
20 communications people and say they were misleading
21 the people based on your results? Did you ever
22 say anything about that?

23 MS. GAGNE: There is a -- I work, I am busy, I don't
24 read all the communication statements, and no, I
25 have not -- repeat again your question?

26 Q Did you ever speak up to your communications
27 people suggesting that DFO was misleading people
28 based on your inconclusive results?

29 MS. GAGNE: No, I have not.

30 MR. McDADE: Is this 12? Yes, thank you.

31 Q This is a report posted by the Canadian Food
32 Inspection Agency dated December 2nd. It says in
33 the first paragraph [as read]:

34

35 There are no confirmed cases of the disease
36 in wild or farmed salmon in B.C.

37

38 Given that your Pacific Biological Station had
39 found ISA, isn't that a misleading statement?

40 MS. GAGNE: Absolutely not. There is still no disease,
41 and it was said clearly yesterday, even by Dr.
42 Miller.

43 Q You're distinguishing between the virus and the
44 disease?

45 MS. GAGNE: Naturally.

46 Q You think the general public would understand that
47 distinction in this document?

1 MS. GAGNE: Unfortunately, there is the scientific
2 community that understand things. Probably it's
3 easy for the public, and I can understand based on
4 all of what was said here, it's easy to get
5 confused in all this.

6 Q Well, what I want to ask you is do you feel any
7 responsibility, personally, when misleading
8 statements are put out about your work?

9 MS. GAGNE: Definitely I would.

10 Q And did you raise any objections to this?

11 MS. GAGNE: On what statement?

12 Q To this document here.

13 MS. GAGNE: I haven't raised any objection to it, and
14 I'm reading it right now again.

15 Q So you, as a scientist, were fully aware by
16 December 2nd, that this biological station was
17 finding ISA virus, and you don't think this is
18 misleading?

19 MR. TAYLOR: I'm going to rise and object to this
20 question.

21 MS. GAGNE: I said -- I said I don't know exactly when
22 I became aware.

23 MR. TAYLOR: Mr. --

24 MS. GAGNE: December 2nd is a date that I cannot
25 confirm.

26 MR. TAYLOR: Mr. Commissioner, Mr. McDade repeatedly
27 misstates what the evidence is. He keeps saying a
28 finding of ISA. The witness keeps saying
29 something different, and he keeps putting it back.
30 The witness is answering well, as she understands
31 things and her opinion, but it's not fair to the
32 witness to keep putting that ISA has been found
33 when the evidence is contrary to that.

34 MR. McDADE: I'll try and be clear. The ISA virus,
35 then.

36 MR. TAYLOR: That's not what the evidence is. The
37 evidence is that there's been some positive
38 results indicating something, and the scientists
39 seem to be all in agreement that more work needs
40 to be done to figure this out.

41 MS. GAGNE: And no one has seen the virus, and no one
42 has seen more than faint signals up to now. We
43 have not seen anything that confirms the virus,
44 and I will add further that yesterday there was
45 evidences that were -- well, I didn't have time to
46 analyze my assay of this, and when I'm back home,
47 this is the first thing I'm going to do.

1 But the sequencing, some of the sequencing
2 information provided seemed to imply important
3 facts that should be -- you should be aware,
4 probably, but the stop codon that Dr. Nylund was
5 referring to, and that seemed to be seen in all
6 the segment 7 sequences which are the sequences
7 that seem to be more prevalent right now, and that
8 stop codon is in a crucial protein for the virus,
9 meaning that the virus cannot function without
10 that protein. It's hard to explain as it is right
11 now.

12 Q I understand all the technical arguments.

13 MS. GAGNE: Very good.

14 Q But the issue is you were aware, and DFO was aware
15 of positive findings that the public was never
16 told about. All of the media, up till today, has
17 been about reassuring the public that nothing has
18 been found, and that isn't correct, is it. And
19 the question is, did you ever raise your voice
20 about that?

21 MS. GAGNE: I said that I am not sure exactly when I
22 became aware of the work of Dr. Miller. It sounds
23 that I became aware of it at the beginning of
24 December, from my recollection, and this statement
25 is dated December the 2nd. So I'm not sure I -- I
26 would not lie purposely, but I don't think I was
27 aware of it at the time.

28 Q All right. Let me go to the next paragraph:

29
30 ...the Government of Canada and the Province
31 of BC have tested over 5000 wild and farmed
32 salmon in BC...

33
34 Had you -- your lab was the lab for DFO that was
35 supposed to test for the federal government for
36 ISA, right?

37 MS. GAGNE: It doesn't work like that. If you mean --
38 no, we have nothing to do with the testing done in
39 the Province of B.C. right now. We would confirm
40 if they had something positive.

41 Q Well, I suggest to you you'd never tested wild
42 salmon before Dr. Kibenge's findings.

43 MS. GAGNE: We had tested wild salmon in our region,
44 yes.

45 Q Sorry, wild Pacific salmon.

46 MS. GAGNE: No.

47 Q So as far as that statement goes, that the federal

1 government was testing for wild salmon, as far as
2 you know, that's false, isn't it?

3 MS. GAGNE: Not our lab. Other labs, yes, in the
4 federal government in our equivalent sections.

5 Q And third -- the last line of that sentence:

6
7 None have ever tested positive.

8
9 If you were -- if you -- I'll make this
10 hypothetical. If you were aware of the findings
11 from Dr. Miller at that time, that would have been
12 a false statement, wouldn't it?

13 MS. GAGNE: Infectious salmon anaemia -- if I was aware
14 of it? I guess, but (indiscernible - reading
15 under breath). This refers to the test done by
16 the provincial lab. This is still true, I think.
17 They've never found anything. This doesn't refer
18 to any other testing than the Province of B.C.
19 lab.

20 Q You read that as referring only to provincial
21 testing, not to federal testing?

22 MS. GAGNE: Well, I kind of understand that is not my
23 -- but I think the testing has moved under the
24 responsibility of DFO but still done by the
25 province. So I think this statement refers to
26 that testing that's done at the provincial lab.

27 MR. McDADE: All right. Can we have Aquaculture
28 document 1 on the screen, please?

29 MR. MARTLAND: The last document wasn't -- hasn't
30 been --

31 MR. McDADE: Oh, sorry. Can we mark it, please? Thank
32 you.

33 MS. PANCHUK: Exhibit 2090.

34
35 EXHIBIT 2090: Canadian Food Inspection
36 Agency Document titled "Canada Completes
37 Salmon Anaemia Testing: No Confirmed Cases
38 in B.C. Salmon"
39

40 MR. McDADE:

41 Q Now, this is not a DFO document. This is a BCSFA
42 letter to a newspaper. Can I just ask you to look
43 at the second paragraph?
44

45 Some samples collected as part of the follow
46 up investigation were too degraded to be
47 tested - but many were not, and the testing

1 has shown that those initial results were in
2 fact, false.

3
4 Now, that's not what you found, is it?

5 MS. GAGNE: That's not our statement, so I won't
6 comment on that.

7 Q Well, it's an incorrect statement, isn't it? It's
8 referring to your testing.

9 MS. GAGNE: It's referring to our testing, but the
10 final statement is a fact that the results were
11 false. I haven't said that, not myself.

12 Q No. You can't said that, can you?

13 MS. GAGNE: I haven't said that.

14 Q So whoever said was making a vast over-statement
15 of your findings. They were wrong.

16 MS. GAGNE: Do you know how many things that were wrong
17 and that were published up to now? I think this
18 is just a drop in the bucket, so...

19 MR. McDADE: Fair enough. Can we have document 47 up
20 on the screen, please? Oh, can we mark that last
21 document, please?

22 MS. PANCHUK: Exhibit 2091.

23
24 EXHIBIT 2091: Article by Walling, BCSFA,
25 *Vancouver Sun*, November 24, 2011

26
27 MR. McDADE: Forty-seven, please.

28 Q Dr. Kibenge, I'm just going to move to you for a
29 minute, and then I have, I think, just two points
30 and then I'm going to sit down.

31 This is an email from you to Kim Klotins,
32 CFIA, I believe, and your -- it attaches an
33 excerpt from *Hansard* on page -- can we go to page
34 3 of that document? Your request in the email is
35 [as read]:

36
37 Is this true about the information that CFIA
38 is putting out?

39
40 If we can go to page 3, you'll see the excerpt
41 from the Honourable D. McRae answering on behalf
42 of the government. What was your concern -- can
43 you tell us about what your concern about that
44 information was?

45 MR. MARTLAND: Mr. Commissioner, Mr. McDade and I in a
46 different context some months ago had a back and
47 forth on the question of parliamentary privilege

1 that may attach to certainly parliamentary
2 documents, things that are said in the context of
3 Parliament. It's an email, I think, that attaches
4 something out of *Hansard*. This may raise an
5 equivalent concern. I'd be also interested to put
6 Mr. Taylor on the spot and hear his position on
7 that. It may be equally that Mr. McDade is able
8 to formulate a question that doesn't require him
9 to move to the *Hansard* specifically and yet gets
10 him to the substance of the inquiry.

11 MR. McDADE: Well, I think what I'm asking about is the
12 email and what his concern was.

13 MR. TAYLOR: Well, Mr. Martland refers to me. This is
14 a provincial legislative extract, but the point
15 about a parliamentary privilege applies whether
16 it's federal or provincial. Parliamentary
17 privilege did come up before. I recall that Mr.
18 Commissioner made a ruling on it, but however it
19 happened, the stuff didn't go in before.

20 The same kind of result should apply here in
21 terms of both the law and consistency, it seems to
22 me. There's an email in the front. That's not
23 what we're talking about. It's the *Hansard* that
24 is being spoken of here.

25 MS. CALLAN: And Callan, C-a-l-l-a-n, initials T.,
26 appearing on behalf of Her Majesty The Queen in
27 Right of the Province of British Columbia. The
28 province supports and adopts the federal
29 government's position on this. Parliamentary
30 privilege is a clearly well-defined doctrine and
31 therefore any statements made in *Hansard* should
32 not be admissible.

33 MR. McDADE: I don't need to have the statements
34 admissible, Mr. Commissioner, to ask the question.
35 So perhaps the email can go in, in the end,
36 without attaching the document. But I think I can
37 ask Dr. Kibenge what his concern was, and it
38 relates to information being put out by CFIA.

39 Q So, Dr. Kibenge, do you recall this email and what
40 was your concern about the information that CFIA
41 was putting out?

42 DR. KIBENGE: I recall this email and I was forced to
43 write it after I read the information that you've
44 just shown, specifically because that information
45 said that the CFIA was contacted, and they said
46 that the test results were destroyed and the
47 samples were destroyed. Those statements were

1 made a day after I had spoken with Dr. Kim Klotins
2 and I was concerned that what we had talked about
3 is not what was being attributed to -- for the
4 CFIA. And that's why I sent an email to Dr.
5 Klotins.

6 I also copied it to the vice-president of
7 CFIA, Dr. Dubuc, and Dr. Brannivans (phonetic),
8 because I'd also spoken to them in the same
9 context before, and I wanted them to know that I
10 didn't agree with what they were putting out about
11 my lab.

12 Q As a result of your making a simple scientific
13 finding of ISA virus, you've been really quite
14 attacked haven't you since then?

15 DR. KIBENGE: Well, yeah, I would say that, but I can't
16 understand where the government is coming from. I
17 mean, that's my view.

18 Q There's a lot of pressure been put on you and your
19 university about this, hasn't there?

20 DR. KIBENGE: Yes.

21 Q And I'm going to give you a chance to say what you
22 want to say about that, if there's anything you'd
23 like to say.

24 DR. KIBENGE: Well, I think we -- there has been a lot
25 of information that has been out there, and it
26 hasn't been easy. But I believe that I'm very
27 fortunate that I'm at a university that is very
28 supportive. My dean in the vet school has been
29 very supportive and I think because of that
30 support we've been able to sort of deal with the
31 other issues that have come our way. I really
32 appreciate that support of the university and the
33 vet college in this matter.

34 MR. McDADE: I'm going to speculate that if you'd made
35 a negative finding, you wouldn't have been exposed
36 to the same kind of pressure. Do you agree with
37 that?

38 DR. KIBENGE: I agree, yeah. Negative findings --

39 MR. TAYLOR: The question invites speculation.

40 MR. McDADE:

41 Q Why -- do you have any explanation for why all
42 this pressure comes from a simple scientific
43 finding?

44 DR. KIBENGE: Yeah, but I would like to go back to your
45 question about a negative finding, because we've
46 reported negative findings before. I remember in
47 2007 I got a sample from B.C. and I reported it

1 negative. Negative findings are very easy to deal
2 with because those are the default. Once you
3 report a negative, there's no question, people
4 move on. It's the positive findings that are
5 difficult to accept and in this sense, the sort of
6 question that goes forward is very difficult,
7 particularly when you feel that your science is
8 above question as was in this case.

9 Q Thank you, Dr. Kibenge, and I do agree that your
10 testing should be above question, but this is a
11 very political matter.

12 Can I just ask you to identify a document for
13 me that I think you prepared at Tab 34?

14 MS. PANCHUK: Would you like the email marked?

15 MR. McDADE: Oh, yes, thank you.

16 MR. TAYLOR: Well, just on that, that document is an
17 email with a string of *Hansard* attached to it. So
18 based on what we've submitted before, I think the
19 document cannot be marked. Someone might find
20 another document that doesn't have the *Hansard*.

21 THE COMMISSIONER: We'll mark the email only for
22 identification purposes. The *Hansard* will not be
23 part of that exhibit. If there is a copy that
24 doesn't attach the *Hansard* records, that will be
25 substituted and marked as an exhibit but, for now,
26 it'll be marked for identification purposes.

27 MR. TAYLOR: Well, the simplest thing probably would be
28 to mark it for identification as you say. I can't
29 find it in my binder now, but at some point, and
30 maybe counsel could identify that point, we can
31 take a pair of scissors and cut it off and create
32 a new document and it can be put in using the old-
33 fashioned cut-and-paste.

34 MR. MARTLAND: Mr. Commissioner, my suggestion would be
35 to, on that premise, mark this as a document on
36 the understanding that at the break or lunch, we
37 can simply excise the *Hansard* reference which is
38 actually cut-and-pasted into the exchange of
39 emails. We can take that out.

40 MR. TAYLOR: The difficulty with that is as soon as
41 it's an exhibit, it can go on the web.

42 MR. MARTLAND: Well, it won't go on the web until we've
43 done that.

44 MS. CALLAN: And the province supports the federal
45 government's position on that, and it should not
46 -- the *Hansard* shouldn't be attached and marked as
47 an exhibit. I suggest that it's marked as an

1 exhibit for identification purposes and once it's
2 excised, then it can be marked as the -- the email
3 can be marked as an exhibit.

4 THE COMMISSIONER: I agree with that proposal.

5 MS. PANCHUK: Document for ID, RRR.

6

7 MARKED RRR FOR IDENTIFICATION: Email from
8 Dr. Kibenge to CFIA with *Hansard* references
9 attached

10

11 MR. McDADE: So Tab 34.

12 Q Dr. Kibenge, I think this is a -- no, whoops.

13 Yes, this is a Powerpoint that you prepared?

14 DR. KIBENGE: Yes.

15 MR. McDADE: Can we have that marked as an exhibit,
16 please?

17 MS. PANCHUK: Exhibit 2090 (sic).

18

19 EXHIBIT 2092: Powerpoint prepared by Dr.
20 Kibenge, "Laboratory Issues, Aquatic Animal
21 Diseases"

22

23 MR. McDADE:

24 Q And I just want to -- my last question will just
25 be to turn to page 5 of that, I think it is, under
26 the heading "Aquatic Animal Diseases".

27 MS. PANCHUK: Just to clarify, that was Exhibit 2092.

28 MR. McDADE: Sorry, the next page, Mr. Lunn.

29 Q Now, Dr. Kibenge, the opening line of that, that
30 you've outlined in red on this document:

31

32 The spread of disease is the most feared
33 threat to aquaculture.

34

35 Can you say a bit more about how aquaculture can
36 adopt diseases from the wild?

37 DR. KIBENGE: Well, by the term "aquaculture", we made
38 the framing for fish species or culture species in
39 the water, so they are -- it's the farmed species
40 and that was the observation by the owners. But
41 in a sense, it's an intensive production such that
42 ideally I would term it like a sentinel system in
43 that because it's there. If virus is present in
44 those waters, it allows for people to identify
45 that virus because the virus will manifest, it
46 will kill fish, and you can go in and take out the
47 fish and determine the cause of their disease. So

1 it's like a sentinel animal.

2 But because aquaculture is a business, you
3 know, of course the virus or the pathogen that
4 would damage that is a problem. As far as I know,
5 the spread of diseases is actually the most feared
6 threat to aquaculture.

7 Q And this is equally true in British Columbia as it
8 is all over the world.

9 DR. KIBENGE: Oh, that is the uniform statement
10 wherever aquaculture is performed.

11 MR. McDADE: Thank you to both the witnesses.

12 MR. MARTLAND: I have next counsel for the Conservation
13 Coalition for 15 minutes, and if it wasn't
14 obvious, there was time trading that has gone into
15 these.

16 Oh, I'm sorry, with the break? Mr.
17 Commissioner, I have been reminded of that. If we
18 could take a break now? Thank you.

19 MS. PANCHUK: The hearing will now adjourn for 15
20 minutes. Please remain standing in place while
21 the Commissioner exits the room. Thank you.

22

23 (PROCEEDINGS ADJOURNED FOR MORNING RECESS)

24 (PROCEEDINGS RECONVENED)

25

26 MS. PANCHUK: The hearing is now resumed.

27 MR. MARTLAND: Mr. Commissioner, counsel for the
28 Conservation Coalition with 15 minutes now. Thank
29 you.

30 MS. CAMPBELL: Good morning, Mr. Commissioner. My name
31 is Karen Campbell and I am here with my colleague
32 Judah Harrison, on behalf of the Conservation
33 Coalition.

34

35 CROSS-EXAMINATION BY MS. CAMPBELL, continuing:

36

37 Q I'm wondering if we can start by going to Exhibit
38 number 2034, which is the *Journal of Aquaculture*
39 *Research and Development*. And the title of the
40 paper is "Infectious Salmon Anaemia Virus (ISAV)
41 Ringtest: Validation of the ISAV Diagnostic
42 Process using Virus-spiked Fish Tissues". Dr.
43 Kibenge -- and I'd like to take us to page 2 of
44 that, which I think is page 3, PDF, and there's a
45 chart, and if you could just enlarge the chart, in
46 particular on the right hand side, the second
47 table on the right-hand side, it speaks to --

1 there's a column called the number of cycles. I'd
2 like to ask Dr. Kibenge a broad question about, in
3 your opinion, Dr. Kibenge, what do you think may
4 explain the variations in your conclusions
5 regarding ISA testing between your lab and the DFO
6 Moncton lab? And the reason I've brought this
7 document up is that my understanding is there's a
8 difference in the number of cycles that are run
9 for each of the tests, and that might be one of
10 the contributing reasons.

11 DR. KIBENGE: Well, yeah, we run 45 cycles. DFO, from
12 what I heard yesterday, they run 40 cycles. So
13 that's one difference. But there are other
14 differences that I came to learn of yesterday, and
15 in my view some of those may even be more of the
16 reason why there are differences in the two labs.

17 Q Would you be able to elaborate a couple of those,
18 please.

19 DR. KIBENGE: Well, the first one which is demonstrated
20 in this paper is the fact that we use -- the real
21 time PCR machine we use is different from what is
22 used in DFO in Moncton. We used a Roche
23 LightCycler 480 machine with a different software
24 for reading the Ct values, which is different from
25 the DFO lab in Moncton uses. They use a Stratagene
26 with again a different software.

27 In the paper that you are referring to here,
28 we did a Ringtest that involved I think it was 14
29 labs from South America, Europe and Asia, and
30 these labs were using a wide range of machines, as
31 you can see on the table, including the
32 LightCycler 480, and the Stratagene with the
33 software indicated. And the samples that were
34 distributed again we have different concentrations
35 of virus, but what we found was that there were
36 seven labs that we flagged as more or less
37 reporting what we would call false negatives. And
38 one of the labs was actually a very high profile
39 lab in Europe, which had impeccable protocols, if
40 you like to call them.

41 We had a little debate in terms of the
42 variation in the results, and I worked with them
43 and what we found actually the reason for the
44 difference was that they were using a Stratagene
45 machine which was different from the machine we
46 are using, which was LightCycler. And all the
47 seven labs that we had flagged, some were in South

1 America, were also using the same Stratagene
2 machine. And what we found was that if you use
3 that machine, you are likely to come up with very
4 high Ct values for the same samples that will give
5 you lower Ct values on a LightCycler or on an ABI
6 machine. And in our view the difference was
7 ranged probably from three to seven Ct values.
8 Now, a difference of three Ct values is equivalent
9 to a tenfold difference in the amount of starting
10 template, so it's significant.

11 Okay. So we established that if you're using
12 that machine, you are most likely to miss positive
13 samples that have low virus amounts, and the seven
14 labs that were flagged for that were actually
15 having that machine. But another --

16 Q And is the DFO Moncton lab one of those labs?

17 DR. KIBENGE: No, the DFO Moncton lab was not part of
18 this Ringtest.

19 Q Thank you.

20 DR. KIBENGE: Yes. The third reason that I again
21 learned yesterday that I probably think would
22 explain some of these differences, particularly
23 when you also consider the differences with the
24 Dr. Miller's lab in Nanaimo, is that the Moncton
25 lab is using a different primer probe method than
26 what we used in this test, and also what probably
27 some of the assays that Dr. Miller was using. The
28 probe we use is the Mike Snow probe, which with
29 the paired primers, actually it targets a region
30 over 104 base pairs. From what I heard yesterday,
31 the probe primer set that is being used in the
32 Moncton lab actually targets a region over 169
33 base pairs. The two primers are quite different
34 from what we use. But that alone would explain
35 that actually the probe primer set that is used in
36 Moncton would give you less sensitivity. You
37 know, the key to the real time is the length of
38 the target.

39 Q Thank you.

40 DR. KIBENGE: The smaller the target, the more
41 sensitive the test.

42 Q Thank you for that.

43 MS. GAGNE: May I respond to that?

44 Q Can I just put my next question and perhaps you
45 can respond in that context.

46 MS. GAGNE: Okay.

47 Q So my question is to Dr. Kibenge. Given all of

1 these concerns about quality, cross-contamination,
2 and different primers and protocols, would you
3 agree that an abundance of caution is required
4 going forward with respect to next steps on this
5 issue?

6 DR. KIBENGE: I would agree. But I would also suggest
7 that some of the labs, the result we are putting
8 should not be taken lightly and excused off as
9 being either cross-contamination or something
10 else. Because we don't report false positives or
11 false negatives. The results we report, we would
12 have ruled out all those issues.

13 Q Thank you. And, Ms. Gagné, would you agree that
14 going forward we need to have an abundance of
15 caution in the next steps that government is going
16 to take on these issues?

17 MS. GAGNE: Yes, I agree. And if I can comment on the
18 first, the issue of our machine. This --

19 Q I'd like to keep it -- please keep it brief,
20 because I'm under a time constraint, but please
21 comment.

22 MS. GAGNE: Okay. This came up yesterday, too, a
23 surprise to me. But just remember that recently
24 we had confirmed a case of ISA and the sample we
25 received was tested and found positive with a
26 value of -- a Ct value of 35, exactly like the
27 original lab reporting this sample, which uses one
28 of these ABI machines. So I don't think the
29 machine is in -- is the problem. Because also we
30 have our validation data showing the sensitivity
31 of the assay using this machine we have.

32 We have set the machine to work properly,
33 though. You don't use the machine out of the box
34 as it is. You set the gain, you use different
35 coordinates. We have done all the proper work I
36 think to make the machine work properly.

37 Regarding Kibenge's sample, we have tested
38 them with the same primers and probes as they are
39 using, using the chemistry prescribed by the Snow
40 assay, and found them negative again. So it's not
41 that we didn't try also this assay, as prescribed
42 by Snow. In Dr. Kibenge's lab the primers and
43 probes are the same, but the rest is different.

44 Q But there is also one of the changes is that you
45 run the test for a fewer number of cycles; is that
46 correct?

47 MS. GAGNE: We run them at 40 because we have -- we

1 used to run 45 for a long time, but we know that
2 above 40 it's -- there's nothing showing up
3 usually.

4 Q Thank you. Do you run at a fewer number of
5 cycles, then.

6 MS. GAGNE: In this case, anyway --

7 Q It's a yes or no answer.

8 MS. GAGNE: Everything was reported below 40, so --

9 Q Thank you.

10 MS. GAGNE: -- it's not a factor.

11 Q I'd like to bring back the issue of the 2004
12 study, which I know was made an exhibit, and I'm
13 not sure I need to turn to it, but it's the --
14 it's the Molly Kibenge work that was done back in
15 2004. And just to confirm, Ms. Gagne, the results
16 of that study were known to DFO back in 2004; is
17 that correct?

18 MS. GAGNE: Yes.

19 Q I'd like to turn to Conservation Coalition
20 document number 34, which is a DFO document from
21 2007 and 2008 entitled "Wild Sampling in support
22 of the National Aquatic Animal Health Program".
23 Could we please have that document marked as an
24 exhibit.

25 So this is a three-page document, it's a
26 CFIA-DFO document where they identify the diseases
27 they plan to survey for in the years 2007 and
28 2008. And if we -- it's going to be difficult to
29 go through this, but if we go through on page 2,
30 we see that in the Gulf/Maritimes Region they
31 identify that they plan to test for ISAV and MSX.
32 And if you go to the third page, we see that with
33 respect to the Pacific Region they plan to test
34 for IHNV and MSX, but they do not plan to test for
35 ISAV.

36 And, Dr. Kibenge, in light of the 2004
37 findings, which had indications of ISAV that were
38 not necessarily confirmed, would you agree that it
39 would have been prudent for DFO to have started
40 testing for ISAV back at this time?

41 DR. KIBENGE: I would agree. But I would also add that
42 regardless of that data, I think given the
43 importance of ISA virus, these should be part of
44 the screening wherever you are raising farmed
45 Atlantic salmon.

46 MS. CAMPBELL: Thank you. I'd like to now turn to
47 Conservation Coalition -- actually, it's now

1 Exhibit 2085.

2 MS. PANCHUK: The previous document was Exhibit 2093.

3

4 EXHIBIT 2093: Wild Sampling in Support of
5 the National Aquatic Animal Health Program
6 (NAAHP): Proposed Department of Fisheries
7 and Oceans Activities for 2007-08

8

9 MS. CAMPBELL: Thank you, Ms. Panchuk.

10 Q We talked about this yesterday, and I put a
11 question to the panel about the agreement and the
12 need for coordinated research going forward, and
13 this is the reference to the U.S. Bill before the
14 U.S. Congress. Near the bottom of the document,
15 one of the things, and again we don't we don't
16 need to look at it directly, but it does --
17 there's a statement in the bill that it's calling
18 for the results of the research that's been done
19 to be reported to Congress in six months. And the
20 reason I bring this up is because I'd like to get
21 to the timeliness of the need for action on this.
22 And I'd like to ask you, Dr. Kibenge, what you
23 think is an optimal timeline to get further
24 clarity on the issue of the extent to which this
25 ISA virus may be in B.C. waters. And I ask you
26 that as a scientist, knowing that things take
27 time, but time is of the essence.

28 DR. KIBENGE: Well, I would suggest that given the
29 information that we know today, and the technology
30 as we have it today, I think one needs to move
31 very fast and I wouldn't wait for six months.

32 Q Thank you for that.

33 DR. KIBENGE: I mean, as you can see from the work that
34 Dr. Miller has done, this information just came
35 out within a week or so. So there is an
36 opportunity where you can actually generate a
37 little data very, very quickly.

38 Q Ms. Gagné, do you believe that time is of the
39 essence and what do you think would be the optimal
40 time for getting to the -- the bottom of this?

41 MS. GAGNE: As soon as possible.

42 Q And I'd like to go now to Conservation Coalition
43 document number 37. And this is "Speaking for the
44 Salmon". Thank you. It's a think tank of
45 scientists has recently issued the following set
46 of recommendations, which I would like to put to
47 you and ask you whether you agree or disagree with

1 these recommendations. The first recommendation
2 -- and this think tank took place quite recently.
3 The first recommendation is that we need to
4 establish a transparent monitoring system of wild
5 and farmed salmon in B.C. to determine both the
6 presence and prevalence of a broad range of
7 disease organisms. Ms. Gagné, do you agree?

8 MS. GAGNE: Yes.

9 Q Dr. Kibenge, would you agree?

10 DR. KIBENGE: Yes.

11 Q The second recommendation is that:

12

13 We must better incorporate current scientific
14 information into salmon farm policy and
15 regulations.

16

17 And have more focus on resolving the ecological
18 and economic viability of the transition to land-
19 based salmon aquaculture, and to explicitly manage
20 salmon farms as a disease risk, where they're
21 located on major migratory routes. Ms. Gagné, do
22 you agree?

23 MS. GAGNE: This starts to be outside my field.

24 Q Dr. Kibenge?

25 DR. KIBENGE: Well, I agree with some of the
26 statements, but there are some statements there
27 that I may not agree with, not because they are
28 wrong, but simply because I think they may be very
29 difficult to implement and make them viable.

30 Q The third statement is that Canada needs to create
31 a separate entity to facilitate scientific
32 research related to aquaculture. This entity must
33 be totally separate from the promotion of economic
34 activities. And some of the models that are
35 mentioned are the now defunct Fisheries Research
36 Board of Canada. Ms. Gagné, would you agree?

37 MS. GAGNE: Is it in the third statement? I cannot
38 read that.

39 MR. MARTLAND: I don't know -- Mr. Commissioner, I
40 don't know that what was read reflects what the
41 document writes as.

42 MS. CAMPBELL: I can -- I can read directly from the
43 statement, if that's easier.

44 Q So the third statement reads:

45

46 Canada urgently needs to create a separate
47 entity for facilitating scientific research

1 to provide for better management of our wild
2 fish and their habitat. Possible partial
3 models for such an entity might include the
4 former Fisheries Research Board of Canada,
5 the Committee on the Status of Endangered
6 Wildlife in Canada..., Australia's
7 Commonwealth Scientific and Industrial
8 Research Organization..., and several
9 research organizations focusing on fish and
10 wildlife in the United States. Of prime
11 importance is that this entity is thoroughly
12 separated from initiatives that promote
13 economic activity.
14

15 It's particularly that point, that last point, the
16 independence and the economic activity point I'd
17 ask if you agree with.

18 MS. GAGNE: It's true that economic activities should
19 be separated from research, yes.

20 Q Dr. Kibenge?

21 DR. KIBENGE: From what I understand, is the
22 recommendation calling for a government sort of
23 setup to do the scientific research? I'm not
24 clear whether it's just some sort of a research --

25 Q It says a separate entity, so --

26 DR. KIBENGE: Within the government, within the
27 government laws. Because I know there's CFIA
28 labs, there's DFO labs, are you talking about
29 another government lab?

30 Q Perhaps you could let me know whether you think it
31 should be independent of government, or whether
32 such -- if you agree that such an entity is a good
33 idea, do you have a view on whether it should be
34 in government or out of government?

35 DR. KIBENGE: You know, personally, given the
36 experience I've seen in the last few months, I
37 would suggest that there needs to be a separation
38 between policy and science. So that should drive
39 the creation of another scientific research
40 program that is being suggested.

41 MS. GAGNE: Where the science/policy separation is not
42 necessarily -- if this is -- this is not clear. I
43 won't comment, but...

44 MS. CAMPBELL: Those are my questions, thank you very
45 much.

46 MR. MARTLAND: Thank you. Mr. Commissioner, counsel
47 for Areas D and B with 15 minutes. Oh, and I'm

1 sorry, the last document wasn't marked. We should
2 give it an exhibit number, I think.

3 MS. PANCHUK: Exhibit 2094.

4
5 EXHIBIT 2094: Speaking for the Salmon, SFU
6 Invitational Scientists' Think Thank,
7 Managing for Uncertainty: Pathogens and
8 Diseases in Pacific Salmon, November 30 and
9 December 1, 2011

10
11 MR. ROSENBLOOM: Thank you very much. Again, panel, I
12 represent Area B and D that are part of the
13 commercial fleet out here on the West Coast.

14
15 CROSS-EXAMINATION BY MR. ROSENBLOOM, continuing:

16
17 Q Firstly, I have given notice to the Commission, I
18 have given notice to all parties, but I've given
19 notice today to the Commission and to the
20 Government of Canada, the documents out of our
21 list that I wish to have marked and I want to do
22 this quickly, so I don't use up a lot of my time.
23 Mr. Lunn has been so informed of the documents
24 that I wish to put forward.

25 The first one is from our list, document 5B
26 as in Boston, and that is one of the Situation
27 Reports, report number 3. I ask that that be
28 marked as an exhibit.

29 MS. PANCHUK: Exhibit 2095.

30
31 EXHIBIT 2095: ISAV Situation Report
32 (Internal) Update #3, October 20, 2011

33
34 MR. ROSENBLOOM: Thank you. The next one being
35 document --

36 MS. PANCHUK: Oh, 2096.

37 MR. ROSENBLOOM: Sorry, the initial document is 2096,
38 Madam Clerk?

39 MS. PANCHUK: The initial document is 2095.

40 MR. ROSENBLOOM: Okay, it is. Okay. The second
41 document which is from our list, document 6D, as
42 in Donald, is document 2097, is it?

43 MS. PANCHUK: 2096.

44
45 EXHIBIT 2096: Draft Backgrounder Infectious
46 Salmon Anemia (ISA) Virus - Accepted Testing
47 Methods (DFO)

45

PANEL NO. 66

Cross-exam by Mr. Rosenbloom (GILLFSC) (cont'd)

1 MR. ROSENBLOOM: Document 6E.

2 MS. PANCHUK: 2097.

3

4 EXHIBIT 2097: Draft Media Lines & Qs and As
5 ISAv interim results - Ongoing Investigation
6 (DFO)

7

8 MR. ROSENBLOOM: Document 6T as in Thomas.

9 MS. PANCHUK: 2098.

10

11 EXHIBIT 2098: News Conference November 8,
12 2011

13

14 MR. ROSENBLOOM: Document 6F as in Frank.

15 MS. PANCHUK: 2099.

16

17 EXHIBIT 2099: Inconclusive: Infectious
18 Salmon Anaemia Virus in BC Salmon (DFO)

19

20 MR. ROSENBLOOM: Document 13 I wanted to put in, but

21 I'm informed by Mr. Lunn that's Exhibit 2002.

22 We'll forget that. And lastly, document number 7.

23 MS. PANCHUK: Is 2100.

24

25 EXHIBIT 2100: Statement from Dr. Fred
26 Kibenge, OIE Expert for ISA, November 17,
27 2011

28

29 MR. ROSENBLOOM: Thank you very much. I'll try to be
30 brief.

31 Q Firstly, Dr. Kibenge, in your response to Mr.
32 McDade at one point in time during your cross-
33 examination, he was exploring with you some of the
34 repercussions that may have fallen upon you and
35 your lab as a result of the positive findings that
36 you came up with from Charlottetown and from PEI.
37 My question to you is this. You then responded to
38 my learned friend, and you said you sort of
39 understood, you said you understand where the
40 government is coming from. You used that very
41 term. I'm interested in you exploring with us
42 where do you believe the government is coming from
43 in respect to this controversy?

44 DR. KIBENGE: When I mentioned government, I mean the
45 Canadian Food Inspection Agency, and I think
46 ultimately they are responsible for, you know, the
47 health status of animals in Canada. And so with a

December 16, 2011

1 result like this, I would expect them to sort of
2 get on the case, to understand where is it coming
3 from, how they can control it, and so on. So the
4 way they came at it is quite understandable to me.
5 It may not have been acceptable to me, but given
6 the situation, if I was in CFIA, probably I would
7 have done the same thing. So that's what I mean
8 that I understood where they were coming from.

9 Q Well, you have made very clear before this
10 Commission, and you've made clear in documents
11 which I'll come to in a moment, that your initial
12 work that is now before us in terms of your lab
13 results are preliminary in the sense there are
14 phased processes that have to be pursued beyond
15 this point; is that not correct?

16 DR. KIBENGE: That is correct.

17 Q Yes. And to show your measured approach to this,
18 I want to draw to your -- ask for your
19 identification of what I have just marked as an
20 exhibit. It's Exhibit 2100, it's the last of the
21 documents, and it is something written by you
22 dated November the 17th of this year, a statement
23 of Dr. Fred Kibenge, OIE Expert on ISA. And it's
24 now before us, and I want to go down to the third
25 paragraph and I want to go to the four lines from
26 the bottom. You say, if you have it in front of
27 you there, Doctor:

28
29 In order to confirm whether an infectious
30 viral disease is present, further testing is
31 required. The OIE definition (confirmation)
32 of ISAv infection requires that the virus be
33 successfully grown in cell culture. Thus,
34 the PCR test should be viewed as a highly
35 sensitive screening test that, if positive,
36 is only the first diagnostic step in
37 documenting an ISAv infection should one
38 exist.

39

40 And I assume you obviously adopt those remarks?

41 DR. KIBENGE: That's correct.

42 Q Yes. Now, recognizing the preliminary state we're
43 in, in respect to this controversy at this point
44 in time, there are reasons, are there not, sir,
45 why the government should take aggressive steps at
46 this point in time to pursue further testing and
47 to make a determination sooner or later whether

1 this virus may be pathogenic?

2 DR. KIBENGE: That is correct.

3 Q And why don't you explain to us, and I asked this
4 question to Dr. Miller yesterday, and limited it
5 to her because of her absence today, can you
6 educate this Commission as to why it is so
7 critical that this work be done, what is the
8 consequence of a process that might lead to a
9 determination that the virus is in fact
10 pathogenic?

11 DR. KIBENGE: Well, first of all, based on the results
12 we have seen so far, it's clear that we don't have
13 -- we don't have a specific diagnostic test that
14 is consistently detecting this virus in all
15 samples. So there is a strong possibility that we
16 are either having a high level of false negatives,
17 or a high level of false positives. So it's
18 important that we have a specific diagnostic test
19 that will identify to us that if a sample is
20 carrying this virus, it is positive in all the
21 labs and all times that it is tested.

22 That information can only come out if more
23 work is done to isolate this virus, sequence its
24 genome, use those sequences to design a test that
25 is specific for this virus in the wild fish.
26 Without that, we are really not making any
27 progress. And I mention this because I have heard
28 that there are surveillance activities that are
29 being planned or proposed, but until there is a
30 diagnostic test that is specific for this agent,
31 we will be in the same situation as before.

32 Q And I don't want to be alarmist about this, but if
33 indeed we got to a state where there were positive
34 findings of pathogenic virus of ISA, government
35 would have to take aggressive remedial steps,
36 would they not, to try --

37 DR. KIBENGE: Yes.

38 Q -- to arrest the situation?

39 DR. KIBENGE: Well, yeah, that's the only way you can
40 control this type of disease, and it has been
41 shown where ISA disease has been confirmed or
42 reported.

43 Q All right. I want to come back to you, Dr.
44 Kibenge. But, Madam Gagné, can you tell me, you
45 know the witnesses that are slated for the second
46 panel this afternoon, who best can answer this
47 question; maybe yourself. Can you tell this

1 Commission what the Government of Canada intends
2 to do in pursuing this issue in light of the
3 recent findings out of the labs, both in PEI and
4 out here in the West Coast?

5 MS. GAGNE: This is definitely a question for the panel
6 of this afternoon. They have -- I know that
7 they're working on a surveillance plan, and you
8 have to understand that to do so with surveillance
9 in fish that are migrating, you need to have --
10 there are several criteria, time of the year and
11 et cetera. So I know that they're working on
12 that, and they will probably have the occasion to
13 explain it better than me.

14 Q And from our perspective, would you agree that the
15 findings that are before this Commission, albeit
16 that in terms of your lab it was inconclusive,
17 that the findings that are before this Commission
18 justify a very aggressive response by the
19 Government of Canada to take this to the next
20 levels, as Dr. Kibenge speaks about these levels,
21 the sequencing and the culturing.

22 MS. GAGNE: I personally don't like the word
23 "aggressive", we're not aggressive. But, I mean,
24 we're going to take certainly strong measures to
25 -- to do a proper surveillance for some -- sorry,
26 for ISA, and ISAV.

27 Q From your perspective, the status quo is not
28 acceptable, is it?

29 MS. GAGNE: I don't think, no.

30 Q Thank you. Now, Dr. Kibenge, this is my last
31 opportunity with you and one of your last
32 opportunities to speak to the Commission. Can you
33 inform us from your perspective what you believe
34 the Government of Canada should be doing to pursue
35 this matter to the point where the public interest
36 is well served?

37 DR. KIBENGE: Okay. When I came here, I came with the
38 view that I would probably be asked in terms of
39 what recommendations I could put forward. And I
40 have thought about this and I have three
41 recommendations that I would put forward right now
42 in response to your question.

43 The first one is that I believe that the
44 different labs that are working on this problem
45 should actually try to work together for the
46 common good and come up with more information,
47 more knowledge, rather than the situation in where

1 there is a lot of discrediting of certain
2 individuals, certain labs, and so on. That, in my
3 view, will not serve Canada well.

4 I've got an example where we have worked in
5 Chile, because Chile had the situation where, you
6 know, they had the virus probably for a few years
7 before the outbreak came out. And one of the
8 reasons they were not being able to pick it up was
9 because the labs were right not up to par. But
10 out of that outbreak and the work I have been
11 doing there, we got a chance to set up what we
12 call an OIE training program, in which my lab is
13 twinned with certain labs in Chile. And the
14 purpose there is to bring the level of knowledge
15 and expertise in those labs to the same level as
16 Canada, or at least so that we are all uniform,
17 and we can sort of improve on and get the same
18 information on these matters.

19 Actually, I should also comment that when the
20 outbreak in Chile occurred, I was getting a lot of
21 samples to test, but since these corroborations
22 and the trainings that we have been doing, I
23 didn't get any sample in 2009. Not because there
24 were no outbreaks there, but the expertise there
25 is right now at a level that they need to send
26 samples outside of the country to be tested for
27 ISA virus.

28 So my point here is that I think labs need to
29 work together to increase our level of knowledge,
30 rather than discrediting each other, that's...

31 Q Anything else to say?

32 DR. KIBENGE: Yeah, the second comment or
33 recommendation I would make is that really we need
34 to get a hand on this virus in the wild fish. The
35 methods we are using now and the samples we are
36 taken -- we are taking, are based on our knowledge
37 of the virus and the disease in farmed Atlantic
38 salmon, and that could be part of the reasons why
39 we are really not being consistent in what we are
40 picking up, and being sure whether we are even
41 detecting ISA virus. So it's important that we
42 set up experimental infections to detect where the
43 virus is most and when is the best time to sample
44 so that we can actually get a hand on even the
45 spread of this virus, wherever it may be. Without
46 that, we really don't have a clue of what we are
47 doing.

- 1 And the third recommendation I would suggest
2 is that I think probably the government or someone
3 should set up some sort of a fund or research
4 chair, so to speak, so that we'd get some expert
5 who focuses on aquatic virology and get to the
6 bottom of most of these issues. We have seen and
7 heard, you know, Canada has some expertise here.
8 I heard from Dr. Miller, I think she is the -- a
9 very accomplished scientist that could easily be
10 used. But there are others, and I think this is
11 something that we need to consider and therefore.
12 Q Thank you very much, I have only two minutes left.
13 Firstly, you heard evidence from Dr. Miller
14 yesterday that she wasn't on speaking terms with
15 certain people. Are you in the same situation now
16 in light of the results that came out of your lab?
17 DR. KIBENGE: Well, I think I'm in a better
18 environment, because I think the University and
19 the Vet College in PEI, they believe in the work
20 we do, and they are very supportive. So my
21 experiences, at least within the areas that I work
22 in, are quite different from what I heard about
23 what --
24 Q Yes.
25 DR. KIBENGE: -- Dr. Miller's experience.
26 Q Thank you. And lastly, at this inquiry we've
27 heard repeatedly about budgetary restraints within
28 DFO, at the directive of Treasury Board. This -
29 program that you speak of that you believe the
30 Government of Canada should initiate to respond to
31 the latest controversy, that will cost money,
32 won't it?
33 DR. KIBENGE: Oh, of course, yes.
34 Q Yes.
35 DR. KIBENGE: Yes.
36 MR. ROSENBLOOM: Thank you. No further questions.
37 MR. MARTLAND: Mr. Commissioner, next counsel for the
38 First Nations Coalition for 15 minutes.
39 Sorry. In addition, Mr. Commissioner, there
40 is one housekeeping matter. Unintentionally,
41 2098, Exhibit 2098, is in fact a document that was
42 previously given the number 2030. They're
43 identical. I'm not sure, Mr. Lunn, in that a
44 situation whether we simply substitute in and
45 renumber the exhibits that follow, or what the
46 right approach is.
47 MR. LUNN: I think in this case since the exhibits have

1 been referred to on the record already since,
2 we'll just leave it as a duplicate.
3 MR. MARTLAND: And we've left it with the indication on
4 the record. Thank you.
5 MS. REEVES: Good morning, Mr. Commissioner. Crystal
6 Reeves for the First Nations Coalition, and with
7 me my co-counsel, Leah Pence.

8
9 CROSS-EXAMINATION BY MS. REEVES, continuing:

10
11 Q This morning my first question is for you, Ms.
12 Gagné. We heard yesterday from Dr. Miller about
13 the work her lab does with First Nations,
14 particularly in terms of sampling. And I just
15 wanted to know, does your lab in Moncton work with
16 First Nations at all in sampling or in other
17 issues?

18 MS. GAGNE: To my knowledge, no.

19 Q And is this something that your lab should work
20 toward, given the concerns of First Nations around
21 fish health and particularly in light of their use
22 of fish for food, social and ceremonial purposes?

23 MS. GAGNE: If there was the need, but I never heard of
24 that in our region, I mean.

25 Q But do you personally feel that there would be a
26 need to reach out to First Nations, both in terms
27 of collecting sampling, but also perhaps to review
28 results that you obtain through your
29 investigations?

30 MS. GAGNE: I prefer to defer. It's not really my --
31 in my -- my work line to do that type of a -- I'm
32 not responsible for sampling.

33 MS. REEVES: I'd like to go to Exhibit 2044. Is that
34 Commission's Tab 83?

35 MR. LUNN: I believe that's Tab 68 of the Commission.

36 MS. REEVES: Sorry, I need Commission's Tab 83, then.

37 MR. LUNN: One moment.

38 MS. REEVES: Yes, that's the right...

39 Q I'm not sure if this has been marked, but this
40 refers to an email between Kim Klotins and Timothy
41 Davis. And at the first paragraph of the email,
42 if you could just blow that up, Mr. Lunn. And Tim
43 Davis is describing a meeting he had with you,
44 discussing some issues with the OIE report, and it
45 also says you gave him a few areas that you may
46 want to check out during inspection, and the
47 inspection referring to Dr. Kibenge's lab. And so

1 that meeting did take place between you and Tim
2 Davis?

3 MS. GAGNE: Yes.

4 MS. REEVES: And could I have this email marked as an
5 exhibit.

6 MS. PANCHUK: Exhibit 2101.

7

8 EXHIBIT 2101: Email exchange between Timothy
9 Davis and Kim Klotins and others re "PEI",
10 October 19, 2011

11

12 MS. REEVES:

13 Q And these issues, with the OIE report and with the
14 lab, were those volunteered by you, or were you
15 asked specifically if you knew of any issues?

16 MS. GAGNE: I don't think they were volunteered. I was
17 -- he was not an expert in PCR and he was touring
18 our lab, asking how the -- how the process is
19 done, and he was questioning me on the report. So
20 I was trying to explain to him what I could deduct
21 from the information we had.

22 Q Right. But in terms of issues with the lab
23 itself, is -- was that discussed, with Dr.
24 Kibenge's lab?

25 MS. GAGNE: There was just talking issues with the
26 report, not with the -- the lab.

27 Q Okay. And then were you aware that Tim Davis had
28 forwarded this to Kim Klotins?

29 MS. GAGNE: No, I don't see my name on this one. No.

30 Q No, but you -- do you know?

31 MS. GAGNE: No, I have not seen that before disclosure,
32 no.

33 Q Okay. And it was ultimately obviously CFIA and
34 Kim Klotins was aware that undertook the
35 assessment of Dr. Kibenge's lab?

36 MS. GAGNE: I guess. I know I wasn't part of the
37 assessment, no, so...

38 Q Okay. I'd next like to go to Commission Tab 85.
39 And this is an email, and then the second page
40 attaches a list of PCR issues, and the email again
41 is Tim Davis and it's highlighting discussion that
42 you had with him. And again, were you aware that
43 this checklist was forwarded to Kim Klotins?

44 MS. GAGNE: No.

45 MS. REEVES: Now, I'd like to mark that exhibit,
46 though, as an exhibit if I can, because the list
47 was created by -- well, in conjunction with Nellie

1 Gagné.

2 MR. TAYLOR: Well, maybe the best thing is for ID at
3 the moment. Dr. Klotins is going to be here in
4 about -- well, on the evidence seat in about 35
5 minutes, I think.

6 MS. REEVES: I'm fine with that.

7 MS. PANCHUK: Document for ID SSS.

8

9 MARKED SSS FOR IDENTIFICATION: Email from
10 Timothy Davis to Kim Klotins and others re
11 "DFO Lab Discussion" and attached PCR
12 Checklist dated October 20, 2011
13

14 MS. REEVES:

15 Q And so this checklist that was created, these are
16 the issues that you identified for Tim Davis
17 regarding sampling and the PCR tests; is that
18 correct?

19 MS. GAGNE: I read more a list of -- these were his
20 notes, and I have -- and he was taking a lot of
21 notes while I was speaking. So I read part of
22 this is not necessarily issues, but he was noting
23 what we were doing. Like, we had a tissue prep
24 area in a separate room. This seems more like a
25 bunch of notes, including probably some of the
26 issues. The title may be misleading, I would say.

27 Q And just -- just on a brief review of the issues,
28 is this sort of what you had outlined in your
29 meeting? Do you feel that what's stated here is
30 correct in terms of what you had told him?

31 MS. GAGNE: I haven't read that in detail, so I see
32 lots of -- a lot of things there. And I see
33 things we do in our lab mostly, so...

34 Q Okay. In the interests of moving on. I also
35 understand that there is a -- there is a
36 containment checklist that labs fill out; is that
37 correct?

38 MS. GAGNE: A containment...?

39 Q As part of standardization and assessment, they
40 fill out a checklist for how they do containment?

41 MS. GAGNE: Containment is a -- it's a form of -- it's
42 a permit to handle pathogens. So it's a checklist
43 you have to fill.

44 Q Okay. I'd like to go to Commission's Tab 86,
45 please. Now, this is an email, and I recognize
46 that you're not on the email, but my interest is
47 in the attachment, which is on page 3. And

1 apparently this is a new checklist that's been
2 developed, it's called a Containment Level 2
3 Checklist from the email. Are you familiar with
4 this checklist?

5 MS. GAGNE: Yes.

6 Q And when was it created? It's in draft form,
7 apparently.

8 MS. GAGNE: I don't know. I remember that I had to --
9 I applied and I had that permit. About a year
10 ago, I would say.

11 Q So this checklist has been in development since a
12 year ago; is that what you're saying?

13 MS. GAGNE: I don't know if it's still in draft form,
14 but it was, like, modified from the previous
15 checklist for -- this is more specific now for the
16 work we do.

17 Q Right. But you filled out this specific
18 containment 2 level checklist that's on the
19 screen, this particular one.

20 MS. GAGNE: I would need to double-check with the
21 checklist we filled if it's the same thing, but it
22 looks like it.

23 Q And the reason I ask is because in the email it
24 talks about additional questions that are in this
25 checklist as compared to the previous checklist,
26 which I understand was used by both other labs, as
27 well as Dr. Kibenge's lab. So I'm just trying to
28 find out whether you filled out this checklist, as
29 well, in your work.

30 MS. GAGNE: We filled out the most recent one that I'm
31 aware of.

32 Q And when was that done?

33 MS. GAGNE: About a year ago, but I'm not -- precisely,
34 I don't remember.

35 Q Perhaps -- perhaps during the next round of
36 questions we can find out whether this -- when
37 this checklist has been permitted. Now, I'd like
38 to mark again this as an exhibit, primarily for
39 the checklist, but I don't know if you want to
40 wait.

41 MS. GAGNE: Yes.

42 MS. REEVES: So if we could have that marked as an
43 exhibit.

44 MS. PANCHUK: 2102.

45

46 EXHIBIT 2102: Email from Victoria Pedersen
47 to Timothy Davis and others dated October 20,

1 2011 and attached draft Inspection Checklist
2 - Animal Pathogen Containment Level 2
3 Facilities
4

5 MS. REEVES:

6 Q Ms. Gagné, are you an expert on biohazard
7 assessment, or lab protocol planning?

8 MS. GAGNE: I wouldn't say I'm an expert in biohazard
9 assessment. We have -- we have this expertise
10 within our organization and they are the ones who
11 review these procedures.

12 Q Right. But when you were outlining issues that
13 you thought you saw with Dr. Kibenge and you
14 reiterated some of them here with containment,
15 you're not speaking as an expert on biohazard or
16 containment, are you?

17 MS. GAGNE: This was more about the PCR process itself,
18 I believe.

19 Q But in your evidence today you talked about cross-
20 contamination as a concern, so is that your
21 expertise?

22 MS. GAGNE: Cross-contamination, I wouldn't classify
23 that as a biohazard, it's more as maintaining
24 cleanliness in your environment, or detecting if
25 there is a problem that you're not aware of.

26 Q Thank you. Earlier today, Mr. Blair went through
27 a comparison between the assessment of your lab
28 and an assessment of Dr. Kibenge's lab. And are
29 you aware, did someone independent from government
30 outside of CFIA undertake the assessment of your
31 lab?

32 MS. GAGNE: Yes.

33 Q And who was that person?

34 MS. GAGNE: Davor -- I forget his last name, Davor,
35 Davor, he's from the --

36 DR. KIBENGE: Dr. Davor Ojkic.

37 MS. GAGNE: Ah, yes.

38 DR. KIBENGE: He's a Diagnostic Biologist at the
39 University of Guelph.

40 MS. GAGNE: Mm-hmm.

41 Q And were there other people in the assessment of
42 your lab, as well?

43 MS. GAGNE: Dr. John Pasick, and Mrs. -- I'm not good
44 with people's names. Mrs. -- I forgot her name,
45 but she is with CFIA.

46 DR. KIBENGE: Sheila McDermott (phonetic).

47 MS. GAGNE: Sheila McDermott.

- 1 Q And those two people are from CFIA, though?
2 MS. GAGNE: Yes.
3 Q Thank you. Dr. Kibenge, were you aware that Ms.
4 Gagné had been consulted about issues with your
5 PCR tests prior to the assessment of your lab?
6 DR. KIBENGE: No, I'm just seeing this right now. I am
7 quite surprised, actually.
8 Q And have you ever had any issues raised with
9 respect to your lab by CFIA prior to these latest
10 testing results?
11 DR. KIBENGE: No.
12 Q In fact, yesterday it's correct that Dr. Nylund,
13 who was qualified as an expert and is probably
14 considered a world expert on ISAV, stated that
15 your results were correct.
16 DR. KIBENGE: That's correct.
17 Q Do you believe, Dr. Kibenge, that the CFIA was
18 honestly concerned about conditions of your lab,
19 or do you feel this was more a form of damage
20 control focusing the problem away from potentially
21 -- or positive ISAV results and more going to
22 issues with your lab?
23 MR. TAYLOR: Well, just before the witness answers, I
24 think the better question would be does he know
25 whether, as opposed to does he think or speculate.
26 I took the Commissioner's nod to be a ruling.
27 MS. REEVES: I'll rephrase the question.
28 Q Do you have a concern, Dr. Kibenge, that the focus
29 was placed on your lab because you had an ISAV
30 result?
31 DR. KIBENGE: Yes, and I'll probably expand on that in
32 two ways.
33 Q Okay.
34 DR. KIBENGE: Before I was made aware of the actual lab
35 assessment, we had spoken with the several senior
36 people in CFIA, and they had told me that they may
37 want to compare our methods to the lab in Moncton,
38 but for the purposes of understanding how best we
39 can move forward with what we are doing. When the
40 lab assessment was presented to me, it was
41 presented as an assessment between two labs, the
42 DFO Moncton lab and the AVC lab. And at that
43 point my view was that it's, you know, being done
44 fairly. I was not aware that actually they first
45 consulted the DFO Moncton lab for what issues to
46 look for, and then set up this assessment. So --
47 MS. GAGNE: There's a difference here.

1 Q Excuse me. If we can just let Dr. Kibenge finish
2 his answer.

3 DR. KIBENGE: Yes. So, and then I got a list of
4 documents to provide before the site visit, which
5 were actually a list of documents that you could
6 get a sense of what is done in the labs. At the
7 time of the site visit, I quickly got aware that
8 actually the purpose of the site visit itself was
9 not to do the things that I had been made to
10 understand from the conversation with the senior
11 officials in CFIA, and the collection of the lab
12 documents, it was actually, in my view, to confirm
13 a hypothesis that had already been communicated in
14 the media. I expressed that very strongly to
15 people I was working with. And when we got the
16 report, I think a draft report a few days ago, I
17 had to respond, and I think I made that aware to
18 the person who was in charge of this lab
19 assessment.

20 Q Thank you. Did the team that came and assessed
21 your lab ask you for any of your views, given that
22 you are an OIE reference lab, and considered an
23 expert on ISAV, about your views of the Moncton
24 lab?

25 DR. KIBENGE: No.

26 Q Earlier today when you were talking about ways
27 moving forward and recommendations, you stated
28 that labs should be working together, rather than
29 spending time, you know, going through and I guess
30 mischaracterizing each other's lab. And I'm just
31 wondering, do you have a concern that -- or do you
32 think that CFIA is going to take that
33 recommendation and consider having labs work
34 together and going forward? Do you think that's a
35 concern that you have, or do you think that
36 they'll just not take up that recommendation?

37 DR. KIBENGE: Well, actually, I believe they will do
38 it, because in fact in my initial conversations
39 with the senior people in CFIA, that is the
40 understanding that they meant when they wanted to
41 look at my lab and the lab of DFO Moncton. The
42 problem was that the outcome appeared to be to
43 collect evidence to support a certain set of
44 thinking of the issues at hand.

45 Q Thank you, Dr. Kibenge. And my one last question
46 is for you, Ms. Gagné. As a scientist, you review
47 peer-reviewed journals on probably a fairly

1 consistent basis to understand new research and
2 new techniques, would you say that's fair?

3 MS. GAGNE: Yes.

4 Q And if you were to get new scientific information
5 from a peer-reviewed journal about issues with
6 testing, such as the one that Dr. Kibenge's
7 studies showed with the Stratagene machine, would
8 you -- would it be fair to say as a scientist you
9 might want to take that into account and consider
10 that study, and what it means for your own lab?

11 MS. GAGNE: The paper focus was definitely not
12 comparing machines. It was comparing assays. I
13 haven't seen myself the machines and how they are
14 run, so I can't say.

15 Q So despite the findings of the study, though, that
16 talked about some problems with the Stratagene
17 machine, you're not open to considering the
18 possibility --

19 MS. GAGNE: I think that there's just -- it's just
20 pointing to a coincidence, not a problem with the
21 machine probably.

22 MS. REEVES: Thank you. Those are all my questions.

23 MR. MARTLAND: Next, Mr. Commissioner, counsel for the
24 Sto:lo and Cheam with five minutes.

25 MS. SCHABUS: Mr. Commissioner.

26

27 CROSS-EXAMINATION BY MS. SCHABUS, continuing:

28

29 Q Dr. Kibenge, your lab is an OIE reference lab for
30 Infectious Salmon Anaemia viruses and you told us
31 only one of two in the world, right?

32 DR. KIBENGE: That's correct.

33 Q And you'd agree with me that's quite a prestigious
34 accreditation in recognition of your international
35 level of expertise in the field?

36 DR. KIBENGE: That is correct.

37 Q Now, you are bound by the highest international
38 standards to conduct state of the art testing,
39 especially for ISAV, and also to ensure
40 biosecurity and avoid cross-contamination, right?

41 DR. KIBENGE: That's correct.

42 Q And if you wouldn't enforce those, and it's in
43 your own interest and in the lab's interest to
44 enforce those, because otherwise you could lose
45 your prestigious accreditation, right?

46 DR. KIBENGE: I suppose, yeah, that's correct.

47 Q Now, if Mr. Lunn could -- could bring up, and

1 sorry, I didn't give him upfront warning, Exhibit
2 2045, so 2045. It was Commission counsel's Tab
3 29. And that is -- it starts off with an email
4 that's actually directed to you, and you
5 previously identified that exhibit. And then it
6 also includes the 2004 paper, right, of which you
7 are a co-author?

8 DR. KIBENGE: That's correct.

9 Q Along with Simon Jones, is the head of Aquatic
10 Animal Health Section, and I think also Kyle
11 Garver, right? You were one of the co-authors of
12 the paper and such as you reviewed all the
13 research in that regard, right?

14 DR. KIBENGE: Yeah, I'm a co-author on the paper.

15 Q And the underlying research was done by your wife,
16 who at the time was doing her post-doctoral
17 research at Pacific Biological Station with an
18 NSERC -- NSERC grant, right?

19 DR. KIBENGE: That's correct.

20 Q And again that is also a prestigious grant in
21 recognition of the expertise she has in the field
22 and she was doing work on fish health-related
23 issues and testing for pathogens at the time,
24 right?

25 DR. KIBENGE: That's correct.

26 Q Now, you therefore, you've reviewed this article
27 that was written in 2004, correct?

28 DR. KIBENGE: That's correct.

29 Q And do you agree with the contents of the article?

30 DR. KIBENGE: I agree with the contents of the article,
31 that's true.

32 Q You've also reviewed the research and the testing
33 that happened in 2002-2003 right?

34 DR. KIBENGE: I'm aware of the work that was being
35 done, yes.

36 Q And the positive findings of ISAV at Pacific
37 Biological Station, correct?

38 DR. KIBENGE: That's correct.

39 Q And nobody at -- there was no testing done at
40 Pacific Biological Station that would have
41 contradicted those results, correct?

42 MR. TAYLOR: Well, my friend has to first establish
43 this witness would know if -- the facts to enable
44 her to ask the question and get that through an
45 answer.

46 MS. SCHABUS:

47 Q You're not aware, Dr. Kibenge, of any testing that

1 was done at Pacific Biological Station to counter
2 those --
3 MR. TAYLOR: No, I said she needs to establish factual
4 basis to ask the question. Does he know what
5 testing was done, what research was done?
6 MS. SCHABUS: In my submission, I already addressed
7 that.
8 Q But you were aware and you reviewed the research
9 that was done as the basis of this article,
10 correct?
11 DR. KIBENGE: I know the research that was done as
12 described in this article, yes.
13 Q Okay. If we could go to page 15 of the article,
14 please. I think it's PDF page 15, Mr. Lunn,
15 hopefully. Yes. And that table actually shows
16 the positives that were found at PBS, correct?
17 DR. KIBENGE: Yes.
18 Q The positive test results --
19 DR. KIBENGE: Yes.
20 Q -- that were found at PBS. And there's a column
21 there that says "Sockeye", right? Do you see that
22 column? If we could zoom -- we don't really need
23 to zoom in on the column.
24 DR. KIBENGE: Oh, yes. Yes.
25 Q We can see it quite well.
26 DR. KIBENGE: Yes. Yes.
27 Q And if you go across to the -- and actually, I was
28 wrong. It's the line that says "Sockeye" and the
29 column that I'd like to take you to is Cultus
30 Lake; "CL" standing for Cultus Lake.
31 DR. KIBENGE: Yes.
32 Q And there were 64 samples of Cultus Lake sockeye
33 that were examined in the course of the study,
34 correct?
35 DR. KIBENGE: Yes, as recorded in the paper.
36 Q And 64 positives.
37 DR. KIBENGE: That's the result that is tabulated.
38 Q Meaning 100 percent positive findings of ISA virus
39 in Cultus Lake sockeye confirmed in 2002-2003,
40 correct?
41 DR. KIBENGE: Yeah, ISA virus sequences of segment 8.
42 Q Eight, correct, of segment 8. Let's just be
43 really correct about that.
44 DR. KIBENGE: Yes. Yes.
45 Q As it states and on the top of the Table 1: --
46 DR. KIBENGE: Exactly, yes.
47 Q

1 Pacific salmon species analyses for the
2 presence of ISAV segment 8 primers.
3
4 Correct?
5 DR. KIBENGE: Yes.
6 Q You would consider that a very significant finding
7 and an important finding?
8 DR. KIBENGE: Yes.
9 Q That would necessitate and call for further
10 research, especially regarding what is going on
11 with the Cultus Lake salmon and wild salmon in
12 relation to Infectious Salmon Anaemia virus.
13 DR. KIBENGE: You mean right now, or then?
14 Q Well, at the time, too.
15 DR. KIBENGE: At the time. Well, I would, yes, because
16 that's a lot of positives.
17 Q Those are a lot of positives, and at the time your
18 recommendation would have been, too, that this
19 militates to have further research done in the
20 field, and it is the same recommendation you would
21 have now, right?
22 DR. KIBENGE: I would expect that, yes. I would expect
23 that it would be followed up.
24 Q And you spoke previously to the importance of
25 immediately responding and conducting further
26 research if there is a presence of the virus found
27 to avoid outbreaks, right, and to take immediate
28 steps so that we don't have a catastrophic effect,
29 right?
30 DR. KIBENGE: That's correct.
31 Q You were -- you had reviewed the article and the
32 article was basically ready for publication in
33 2004. You're aware of that, right?
34 DR. KIBENGE: Yes.
35 Q And there was -- the publication was denied in --
36 that was followed up in 2005 and 2006 and you were
37 also copied on correspondence in that regard,
38 right?
39 DR. KIBENGE: Yes,
40 Q Regarding your -- your wife is the lead author
41 alongside yourself and talking to the other
42 authors to ensure publication of the article.
43 DR. KIBENGE: Yes.
44 Q But that did not happen.
45 DR. KIBENGE: No, and there was a reason for that.
46 Q Yes. And it was most recently again turned down,
47 right, for publication?

1 DR. KIBENGE: That's correct.

2 Q And publication cannot proceed in light -- in
3 light of that turning down of publication right
4 now, correct?

5 DR. KIBENGE: Well, normally the senior author, in this
6 case, Dr. Simon Jones, I think he has final say.
7 In addition to having government for all the co-
8 authors, I think the senior author has the right
9 to decide how to dispose of the data.

10 MS. SCHABUS: Thank you, those are all my questions.

11 MR. MARTLAND: Mr. Commissioner, next we have counsel
12 for the LKTS and Aboriginal Aquaculture
13 Association with 15 minutes.

14 MR. KELLIHER: Dr. Kibenge and Ms. Gagné, my name is
15 Steven Kelliher, and I represent the Aboriginal
16 Aquaculture Association.

17

18 CROSS-EXAMINATION BY MR. KELLIHER:

19

20 Q Dr. Kibenge, can I ask how did you become involved
21 in the Chilean outbreak of ISA?

22 DR. KIBENGE: Well, I should say, maybe because I am
23 the OIE reference lab for ISA on this side of the
24 Atlantic. But in addition, I have been working
25 with the Chile industry for a very long time, way
26 back from 2000 to the present. So I was well
27 known in Chile and also as an OIE reference lab,
28 it was natural for me to be involved.

29 Q All right. Now, you've mentioned that there's two
30 main strains, if you will, of the ISA virus. What
31 strain, if I'm using the right term, was engaged
32 in the Chilean outbreak?

33 DR. KIBENGE: Okay. I think the technical term should
34 be two genotypes of ISA virus.

35 Q Can I stick with strain?

36 DR. KIBENGE: I think strain would not -- the strain
37 would be very specific for what involved -- was
38 involved in Chile, but even now there are probably
39 more than one strain in Chile.

40 Q All right.

41 DR. KIBENGE: Yeah. But to start off, two genotypes,
42 North American, European, the virus in farms in
43 Chile was of the European genotype and there was
44 one predominant strain, which we typed as ISA
45 virus HPR7b, but there have been other minor
46 strains since then.

47 Q All right. And what specific steps were taken to

1 remediate that outbreak?

2 DR. KIBENGE: Okay. I think the moment that we
3 reported it to Sernapesca and to the OIE, they
4 started getting in mode to control the outbreak.
5 The uptake was a bit slow I think in the first two
6 or three months, but after that, you know,
7 Sernapesca became engaged and they started to test
8 and to quarantine and to take out the farms that
9 had the disease and the virus.

10 Q And what was the magnitude of the outbreak, and
11 over what period of time did it take to bring
12 matters under control?

13 DR. KIBENGE: Well, that outbreak, actually we called
14 it the Chilean ISA crisis, it was a very severe
15 outbreak in Chile. At the time the outbreak
16 occurred, Chile was number 2 in Atlantic salmon
17 production and was well on its way to become
18 number 1, because number 1 is the Norway. But as
19 a result of that outbreak, I think it broke down
20 -- it broke down the production, it destroyed
21 about 75 percent of their production.

22 Q Over what period of time?

23 DR. KIBENGE: Well, in our view, I think the real
24 outbreak started in 2005, but it went on for two
25 years and then we checked it in 2007. So between
26 2005 and 2010 when probably the most of the
27 mortalities were over, that's the duration of the
28 (indiscernible - overlapping speakers).

29 Q And has production returned in 2010 to pre-
30 outbreak levels?

31 DR. KIBENGE: It started going rough, because as you
32 know in aquaculture, you know, you place the fish
33 in the sea and then there will be elapsed period
34 of 18 months or so before the production, before
35 you harvest. So I think the indication in 2010
36 was that they were beginning, they had reached the
37 bottom and they were on the rise.

38 Q Right. Was it a -- would you regard it as it
39 naturally having run its course, the outbreak?

40 DR. KIBENGE: No. There was serious intervention,
41 probably by too many groups. There was
42 SalmonChile, the association of salmon farmers in
43 Chile, and also the government in terms of
44 Sernapesca, those two.

45 Q And what were the nature of those interventions?

46 DR. KIBENGE: Well, I think the SalmonChile actually
47 took the initiative when they sort of imposed on

1 themselves I think 55 measures, and so those were
2 embraced by all the people in SalmonChile, and
3 then the government also picked up on some of
4 those that included members that were not in
5 SalmonChile. Yeah, but the initial effort was
6 SalmonChile with their 55 measures.

7 Q All right.

8 DR. KIBENGE: Yes.

9 Q Now, did that outbreak engage any other wild
10 stocks?

11 DR. KIBENGE: You know, I've read only one report on a
12 survey of ISA in wild fish since that outbreak.
13 Although I'm aware that Sernapesca has been
14 sampling wild fish, I haven't seen any results.
15 But there's a report that came out from -- they
16 studied wild fish around salmon farms in Chile,
17 that is published right now.

18 Q Right. And have there been outbreaks in Eastern
19 Canada?

20 DR. KIBENGE: Of ISA?

21 Q Yes.

22 DR. KIBENGE: Yes. The first one was in New Brunswick
23 in the Bay of Fundy in 1996/'97.

24 Q And it ran for how long?

25 DR. KIBENGE: Oh, I think that last -- last year there
26 were -- I would venture probably 2004/2005. Gagné
27 would probably be better to speak about that than
28 myself.

29 MS. GAGNE: The last known outbreak, it's 2007, but it
30 had decreased already by then.

31 MR. KELLIHER:

32 Q And what was the magnitude of that outbreak?

33 MS. GAGNE: Initially?

34 Q Cumulatively. How long did it last and what was
35 the magnitude of it?

36 MS. GAGNE: I don't have precise numbers.

37 Q Ballpark.

38 MS. GAGNE: Millions, it cost millions of dollars due
39 to the loss of revenue in the population, but...

40 Q To the salmon farming --

41 MS. GAGNE: Yes.

42 Q -- industry?

43 MS. GAGNE: Mm-hmm.

44 Q Were there other species engaged with this
45 outbreak?

46 MS. GAGNE: No.

47 Q Was there -- to your knowledge, was there testing

- 1 done to determine if it engaged other wild stocks?
2 MS. GAGNE: Yes.
3 Q And was there any?
4 MS. GAGNE: No.
5 DR. KIBENGE: Could I answer to that. I think there
6 was a survey that was done and it was published in
7 2002 by Dr. Gilles Olivier, who was at DFO Moncton
8 at that time. And he was able to document ISA
9 virus in the wild Atlantic salmon on a few
10 occasions. In the report he doesn't actually give
11 you the exact number of fish that he tested and
12 that were positive, but he indicates that he was
13 able to find the virus in wild Atlantic salmon.
14 Q And has there been a detectable loss in the
15 numbers of wild Atlantic salmon that are
16 attributable to ISA?
17 MS. GAGNE: No, usually the findings, no.
18 DR. KIBENGE: No.
19 Q Is that because it hasn't been tested, or it's
20 been discounted?
21 DR. KIBENGE: Actually, from what I know, all the
22 testing that has been done in wild fish, the
23 report that keeps coming back is that these fish
24 have virus without communicable disease, be they
25 wild Atlantic salmon or sea trout, or salmon,
26 brown trout, Arctic char --
27 Q Had there --
28 DR. KIBENGE: -- Atlantic cod.
29 Q -- been ISA detected in wild Atlantic salmon
30 before these outbreaks?
31 DR. KIBENGE: No, the first report of ISA virus in wild
32 Atlantic salmon was actually in 2001 by Dr.
33 Raynard and others, and this was following the ISA
34 outbreak in Scotland. The outbreak started in
35 1998, and that's when they started sampling wild
36 salmon. And his paper came out in 2001, and he's
37 the first one to report the presence of ISA virus
38 in wild Atlantic salmon and the sea trout.
39 Q And was the outbreak -- the outbreaks in Eastern
40 Canada, was it the North American variety, or was
41 it the European variety of ISA?
42 MS. GAGNE: Seen both.
43 Q Pardon?
44 DR. KIBENGE: I think -- I think the initial outbreak
45 was typed as North American genotype, but since
46 then, as outbreaks continued, I think -- I
47 remember two other isolates that were what we call

1 European in North America. There was also a
2 slight ISA outbreak, probably a single outbreak in
3 Nova Scotia, in which we typed the virus as
4 European in North America.
5 Q And did you determine the origin of the outbreak,
6 the cause of it?
7 DR. KIBENGE: No. As in where did the North American
8 ISA virus come from? No.
9 Q There was the presence of the European variety of
10 ISA, correct?
11 DR. KIBENGE: That was not detected at the beginning.
12 We, like, in Nova Scotia this was in 2000, you
13 know, the New Brunswick outbreak started in
14 1996/'97. So the European in North America was
15 detected later on.
16 Q Mm-hmm.
17 DR. KIBENGE: But it could simply be because of the
18 increased testing and sampling that was taking
19 place by then.
20 Q And was there some determination made, some
21 inquiry made as how the European version found its
22 way into -- into Eastern Canadian fish farms?
23 DR. KIBENGE: I don't know, and I actually don't know
24 who would be asking those questions.
25 MS. GAGNE: I have heard because I have questioned
26 myself this, and I have heard this, it's all
27 speculations. It's hard to know it.
28 Q It doesn't come from brood stock, or eggs?
29 MS. GAGNE: We don't have the information, and I don't
30 think anyone can determine that at this stage.
31 We're talking of introduction prior to even having
32 the tools to detect it, so...
33 Q All right. Now, have either versions of the ISA
34 been found in the Pacific Ocean off the West Coast
35 of British Columbia?
36 DR. KIBENGE: Well, not until recently, when our test
37 results showed that you have ISA virus sequences
38 out here.
39 Q And those sequences most closely parallel which
40 version of the ISA?
41 DR. KIBENGE: Well, in one typing of the samples we've
42 got, we showed it was of the European genotype.
43 But this -- this was based on the real time RT-PCR
44 genotyping. But in the evidence we heard
45 yesterday from Dr. Kristi Miller, I mean, she even
46 has the sequence, and she claims, at least she
47 showed that it's 100 percent homologous to the

1 European.
2 MS. GAGNE: In Molly's paper, her findings when she was
3 working in PBS, the findings she had, the segment
4 8 was able to sequence, it was more similar to
5 North American.
6 DR. KIBENGE: On the second date, yes, and
7 (indiscernible - overlapping speakers).
8 Q And Dr. Miller's work, how would that square with
9 the comments that you've just made? What does her
10 work tell you about whether it's European or North
11 American origin?
12 MS. GAGNE: We cannot say, because there is not enough
13 sequence available.
14 DR. KIBENGE: Well, she had 71 nucleotides on several
15 samples, and of them, I think, as she showed the
16 alignment, they were all 100 percent European. I
17 mean, that's the best we have so far in terms of
18 her work.
19 Q Right. What do you think, either of you, would be
20 the -- would be the best precautions to be taken
21 to protect the farmed salmon here, and the wild
22 salmon in respect to ISA contact?
23 DR. KIBENGE: Well, in my view I think most sampling
24 needs to be taking place and, you know, more
25 testing, and also trying to really have a specific
26 test that will consistently detect this virus in
27 all samples wherever these samples are being
28 tested.
29 Q Apart from sampling and testing, are there any
30 other steps that could be taken?
31 DR. KIBENGE: Well, I suppose the aquaculture farms
32 need to increase their biosecurity to make sure
33 that there is no --
34 MS. GAGNE: That they can respond rapidly if they were
35 ever to have signs of the disease.
36 Q What does that mean, "increase their biosecurity"?
37 DR. KIBENGE: Well, I think biosecurity would probably
38 limit the spread of the viral disease.
39 Q How do you do that?
40 MS. GAGNE: In New Brunswick, as soon as the disease is
41 confirmed, you have to depopulate, but you have to
42 have confirmation of the disease. In this case,
43 if we assume, based on Dr. Miller's finding that
44 the virus which she's detecting has been around
45 for a long period, and it seems -- it seems that
46 it was probably a quite long period, based on the
47 degree of divergence in her sequences versus the

1 other known ISAV. You are dealing with a
2 population of fish, then, you are dealing with a
3 scenario where the fish have been constantly
4 exposed to it over time and have had time to adapt
5 to it. Our work shows that fish develop
6 resistance after their first exposure to ISA and
7 then they become resistant to secondary exposure.
8 So there is in a way fish themselves have their
9 own mechanisms to resist, to -- all the diseases
10 or all the agents that they are exposed to, like
11 we do ourselves.

12 Q Right. The fish can take steps on their own, but
13 is there anything that we can do to assist them in
14 that protective --

15 MS. GAGNE: No, it's very hard with wild fish. I
16 cannot come up with suggestions.

17 Q All right. If I could just ask a different area
18 of questions. Dr. Kibenge, you have -- you've
19 mentioned that the Canada Food Agency came to your
20 lab to do an audit, and did you understand that
21 audit to be --- the intention to be an independent
22 and objective assessment of the scientific
23 processes that you were engaged in, or have you
24 come to see this as targeting your lab with the
25 intention of discrediting it as a result of the
26 findings that you made of the ISA virus?

27 DR. KIBENGE: Okay. I thought I had answered this
28 question before. But just I can repeat myself
29 here, that the way the lab assessment was
30 presented to me initially was along the lines of
31 understanding my testing, my methods, comparing
32 them to DFO Moncton, to see if we can improve our
33 knowledge and move forward. I got a sense that I
34 felt that probably was not the purpose at the time
35 of the site visit. And this was based on my sense
36 of the questions they were asking and the way they
37 wanted the inspection to take place.

38 I can briefly mention that the normal
39 process, and this again goes along the points of
40 being a veterinarian. If you are going to inspect
41 in a place, particularly where you suspect there
42 is infection or something like that, you usually
43 try to move from the cleanest area to the dirtiest
44 area. In my view, at least the way I had been
45 presented with this lab assessment, I assumed they
46 were just planning to look at where I work and see
47 how they can best improve on -- on the methods we

1 are sharing with the DFO Moncton.

2 But the first thing I was told, actually at
3 the time of the inspection was that, no, we are
4 not going to move from the cleanest to the
5 dirtiest. We want to follow the sample. And in
6 reference actually what they meant was the 48
7 samples that I had received from SFU. So
8 beginning there, and then the subsequent
9 questions, I realized that this was not about the
10 objectives of the particular lab assessment I had
11 been led to believe, it was actually a method to
12 collect the information to support a hypothesis
13 they had come with.

14 Q And that hypothesis was that you were wrong?

15 DR. KIBENGE: Well, yeah, based on actually the
16 questioning I got, I sensed that the interest here
17 was to confirm that my result was a result of
18 contamination. The second point was that probably
19 I was doing shoddy science.

20 Q Yes.

21 DR. KIBENGE: And I think there was a third thinking
22 that I felt they wanted to confirm, and I made
23 that very clear to --

24 Q Right.

25 DR. KIBENGE: -- CFIA in my response to them.

26 Q You concluded that they were there to discredit
27 your results, correct?

28 DR. KIBENGE: That's the term someone else who was
29 familiar with that inspection of -- that CFIA
30 used, and I couldn't disagree.

31 Q All right. Now, if I might just have a brief
32 moment. Doctor, I'm sure you have colleagues in
33 different parts of the world, as we all do, where
34 what they say and what they do can sometimes
35 result in dire and immediate consequences if
36 there's an offence made to persons in power, in
37 political power. And I'm wondering here, you're
38 well familiar with the scientific culture
39 surrounding salmon and the controversial aspects
40 of that area of science. Is it your sense that,
41 well speaking specifically, have you ever had a
42 sense that there could be negative consequences to
43 you professionally, financially, economically,
44 politically, as a result of you exercising your
45 independent professional scientific judgment?

46 DR. KIBENGE: You mean in relationship to this case we
47 are talking about?

1 Q Yes.

2 DR. KIBENGE: I think so. I mean, this has been so
3 public that my reputation and everything else is
4 really in question. So, yeah, you can say that.

5 Q That there has been, would you agree with me, that
6 there has been a politically directed attack on
7 your professional reputation as a result of your
8 scientific work?

9 DR. KIBENGE: You know, I don't know whether I would
10 put it that way. Because if that was the case, I
11 would feel really disappointed. So I suppose I
12 wouldn't characterize it as a politically directed
13 attack on me. But, you know, what has been put
14 there and what people are reading is probably what
15 they sense is happening.

16 MR. KELLIHER: All right, thank you very much, sir.

17 MR. MARTLAND: Mr. Commissioner, that concludes the
18 various examinations, but not the re-examinations
19 of this panel. There are indeed, I think, three
20 counsel that will have questions on re-
21 examination. I expect Canada with five questions,
22 I understand. Dr. Kibenge has counsel, and I
23 understand he may have questions of his witness.
24 Equally, we expect to have a few questions. Thank
25 you. So that's Mr. Taylor next.

26 MR. TAYLOR: Thank you. I'm having the same -- thank
27 you. I was having the same difficulty Dr. Kibenge
28 was having with mikes. Yes, I've got a little
29 more than five questions because I was asked a
30 little bit ago, and I've found some.

31

32 CROSS-EXAMINATION BY MR. TAYLOR, continuing:

33

34 Q My questions on redirect will be for Ms. Gagne
35 only, and that's because, you may or may not be
36 relieved, Dr. Kibenge, I'm not allowed to redirect
37 you, but your lawyer may. So asking Ms. Gagné
38 some questions.

39 Ms. Gagné, a few moments ago there were
40 questions from Mr. Kelliher, the latest lawyer to
41 ask questions, about the outbreaks in New
42 Brunswick, and whether the strain of the ISA that
43 was happening there was European or North American
44 or both. And Dr. Kibenge gave some evidence, and
45 I sensed you had something to say, but I don't
46 think you got it out on that. Is there something
47 that you want to add about what -- and I forget

1 the word that Dr. Kibenge was using, but he took
2 issue with strain and pointed out a better word.
3 Which of those, using Dr. Kibenge's word, was it,
4 European or North America, or both?

5 MS. GAGNE: What was said, it was right. We dealt with
6 -- we have dealt with ISA since the initial
7 outbreaks in 1996, and at the time the first
8 initial outbreaks were due to strains that were
9 characterized as North Americans. And later on as
10 screening increased, probably, and as the tools
11 also improved, we discovered new isolates and now
12 we have over 20 different isolates that are
13 recognized, that have been found at some point in
14 time. And at the moment the only one that is
15 found, it's what we call the HPR0, the non-
16 virulent form of ISA.

17 Q And so is that North American or European, or...?

18 MS. GAGNE: This is European of signature.

19 Q All right. There was some questions asked about
20 the assessment that was done, an assessment was
21 done on both your lab -- I don't have a microphone
22 -- at least I don't -- do I? An assessment was
23 done on your lab and on Dr. Kibenge's lab, and
24 there were two broad areas that were asked about.
25 One was the objectives of the assessment. I'm not
26 asking you questions about that because that's
27 really, as I understand it, you weren't setting up
28 that assessment. But if you have anything to say,
29 by all means. But there were also questions about
30 whether you had some input, or some of the things
31 you said to -- and I forget his name, I think John
32 somebody or other?

33 MS. GAGNE: Yeah, there was a Timothy Davis, the --

34 Q Yes.

35 MS. GAGNE: -- evidence presented earlier. I spoke to
36 him. He was not familiar with PCR. This was the
37 beginning of this response to ISA. But I had no
38 involvement in the development of the checklist
39 that they used for the assessment. I had also the
40 same -- the same type of questioning done in our
41 lab. They followed -- they wanted to follow our
42 procedures with sample from beginning to end, same
43 type. It seems to be similar assessment process,
44 and that's it.

45 Q There was a suggestion, as I heard it in the
46 questions and then the evidence from Dr. Kibenge
47 in this area, that you might have given some views

- 1 on the Atlantic Veterinary College as part of a
2 discussion you were having with anyone leading up
3 to --
- 4 MS. GAGNE: No, not on the College. I have not visited
5 myself the College. On the report that we saw,
6 like I remember seeing that it was a short report.
7 That I just remember saying, for example, the --
8 that the controls were high, that the Cts were
9 low, meaning the controls were not used in a
10 diluted form. Usually we try to maintain our
11 controls in a lower level to avoid increase the
12 risk of cross-contamination. A few things like
13 that, that I pointed from the report itself, but I
14 never discussed the lab itself. I haven't seen it
15 myself, and I don't know how the procedures are
16 run over there.
- 17 Q All right. There was some evidence given by you
18 earlier in response to various counsels' questions
19 about wells and finding results in one well versus
20 two wells. I think it would be important for the
21 Commissioner to understand if you would explain or
22 elaborate what is meant by "well", and what is the
23 significance of one versus two?
- 24 MS. GAGNE: In the PCR process what we do is replicate
25 -- the sample is processed. You extract RNA, do
26 the RT, and when you reach the PCR, you at least
27 make two wells of mix and inoculate two wells with
28 the same sample. And you expect to get the same
29 Ct values if it's positive. Usually this is
30 always the case, except when you get to the upper
31 30 level, where you have very, very low signal.
- 32 Q And can you just say what a well is? I'm not sure
33 that that's clear.
- 34 MS. GAGNE: A well is -- we work in say in plate
35 formats, you have 96 wells in those plates, so we
36 use two wells per sample.
- 37 Q What is a well?
- 38 MS. GAGNE: Oh, a well. A well, I don't have another
39 word for a well. It's -- these plates are really
40 tiny tubes actually made in a plate, so it's a
41 tube, yeah.
- 42 Q I thought it might be -- I found that the words
43 that sound incomprehensible to laypeople
44 initially --
- 45 MS. GAGNE: I'm sorry.
- 46 Q -- turn out to have real meaning. Well is well,
47 and --

1 MS. GAGNE: Yes.

2 Q -- primer is a primer, and a probe is a probe,
3 just as they say. Thank you. Is it industry
4 standard amongst scientists that there be two
5 wells before finding a positive?

6 MS. GAGNE: No, it can happen that you have a single in
7 one well, but, if then, we -- our process
8 immediately that we would retest the sample.

9 Q All right. So if you find it in one well, would
10 that signal -- would that indicate that there
11 should be retesting done?

12 MS. GAGNE: Yes.

13 Q You've also given some evidence in response to one
14 of the lawyer's questions about the process for
15 accreditation, ISO accreditation. What is ISO,
16 what is the accreditation, what's the significance
17 of that, and why does it take a long time?

18 MS. GAGNE: ISO is International Standards Organization
19 and it's the accreditation of a laboratory means
20 that you have a list of requirements that you have
21 to meet. And ISO process is basically being
22 accountable for everything you do. So you have to
23 write down everything you do and you have to do
24 exactly as written. So you have to prove that if
25 you say that I am going to do -- my method implies
26 that I measure two microlitre of this to put in
27 this tube, I need to show that pipette is able to
28 measure two microlitre accurately, so I need to
29 show that my pipettes are verified regularly. I
30 need to -- I need to record everything I do, so I
31 have a trace of everything from beginning to end,
32 and that this is how the accreditation works.

33 Q All right. And why does it take so long? It's a
34 multiyear process, as I understand it.

35 MS. GAGNE: Everything is controlled, from the
36 shipping, reception, the custody of sample, the
37 reporting and the maintenance of your equipment.
38 So it's long to get to that stage, have all the
39 procedures in place, the recording in place. You
40 have to develop your -- you have to validate your
41 assay. This is a huge task. You have to install
42 proficiency testing, Ringtesting amongst the labs
43 who participate in the testing, and regular
44 proficiency panel of your technicians. They need
45 to be -- you need to verify regularly with blind
46 samples that they are producing the results you
47 expect, et cetera. So putting all this in place

1 takes time.

2 Q Dr. Kibenge, in answer to some counsels'
3 questions, spoke of the -- or he compared his lab
4 processes or procedures to yours, and spoke of 45
5 versus 40 cycles, spoke of the machine and spoke
6 of the probes, and you gave some evidence at that
7 same time about your views on that. And I think
8 you've dealt with the machine and the probes in
9 your evidence, and you said that 40 was as good as
10 45. But you didn't put the "because" in that
11 answer, and I wonder if you could elaborate or
12 explain what you mean by 40 is as good as 45 for
13 cycles.

14 MS. GAGNE: We used to have our machine set to run 45
15 cycles, but you rarely have a signal over 40 and
16 that signal is used, it's usually one well and not
17 reproducible. So basically we made a decision to
18 set the machine to stop at 40, which is quite
19 common. But also, in theory, if you start with
20 one single target while doing your assay, one
21 piece of DNA, the process of PCR doubles every
22 cycle that piece. By 40 you should have detected
23 that piece already. You should have the signal
24 for it. So in theory there is also no need to go
25 beyond the 40 cycles.

26 Q And you say should have detected it. How
27 confident are you in that, and why?

28 MS. GAGNE: We are, in our validation, we have
29 determined that we are detecting consistently 17
30 plus or minus seven copies all the time, so beyond
31 that level we are not confident in our detection
32 sensitivity, like we are starting to lose the
33 ability to detect what's there. But 17, like 10
34 to 20 copies is relatively standard for real time
35 PCRs.

36 Q Okay. I've got one further question and it has to
37 do with Conservation Coalition, Mr. Lunn, number
38 34. If you turn to the page that I will find
39 here, I'm looking for the page where it was said
40 what will and won't be tested. It's 3 of 4,
41 wherever that is in the PDF. It's the second-last
42 page, yes. And it was pointed out that it was not
43 to test for ISA in B.C., and that would be 2007-
44 '08. Do you know why that decision was taken?

45 MS. GAGNE: No.

46 MR. TAYLOR: Okay. Thank you.

47 MR. MARTLAND: And, Mr. Commissioner, just so the

1 record reflects that that document last showed to
2 the witness was Exhibit 2093.

3 As well as having Dr. Kibenge here from PEI
4 to testify, his counsel, Jonathon Coady, C-o-a-d-
5 y, is here and under our rules has the ability to
6 ask questions. He didn't do that in the course
7 of, if you will, a direct examination, but because
8 of questions that have arisen, he's indicated he
9 has some questions and is thus looking to re-
10 examine his client, Dr. Kibenge.

11 MR. COADY: Thank you, Mr. Commissioner for the
12 opportunity to be here today and to ask a couple
13 of questions arising from the examination of Dr.
14 Kibenge.

15
16 CROSS-EXAMINATION BY MR. COADY:

17
18 Q One question that arose during the course of your
19 examination was about retainer and revenue for
20 your lab. So I wonder if you could assist Mr.
21 commissioner in explaining what, if any, funding
22 you receive from DFO or CFIA.

23 DR. KIBENGE: My lab does not receive any funding from
24 DFO or CFIA.

25 MR. COADY: Mr. Lunn, if I could bother you to bring up
26 document -- it's Exhibit 2087, and I think the
27 Commission document is 24. It's a table listing
28 "Procedure", "AVC", "DFO", and finally
29 "Significance".

30 Q Do you have that document in front of you?

31 DR. KIBENGE: Yes.

32 Q Okay. If I could ask you just to look at sections
33 4, 5 and 8, and I notice the final column to the
34 far right deals with "Significance" as it relates
35 to your lab. My question for you is under the DFO
36 lab, in step 4, or section 4, it indicates a
37 reference to ABI, that would be the kit, and in
38 section 5 we see a reference again to the ABI kit,
39 and in section 8 we see a reference to the
40 Stratagene machine. And my use of the word is
41 deliberate, what significance, if any, does the
42 use of the Stratagene ThermoCycler and software
43 have for DFO Moncton?

44 DR. KIBENGE: You know, I thought I testified to that.
45 And my information is best on the Ringtest that we
46 did, that that work was published actually early
47 this year, in which we looked at 14 different

1 labs. And these labs were using a range of
2 machines, including Stratagene and Roche and ABI.
3 And there were seven labs that we flagged for
4 having either false negatives or very high Cts, in
5 excess of three Cts compared to what we're
6 expecting. And what we found was actually those
7 seven labs, what they had in common was the
8 Stratagene machine with that Stratagene software.
9 And going back and forth with one high profile lab
10 in Europe, we actually determined that the main
11 reason for the very high Cts and the false
12 negatives was because of this software. And I
13 worked with this person, and actually when she was
14 (indiscernible - rapid speech), all the results
15 were in line. And that's what we communicated in
16 the manuscript.

17 Q My next question deals with section 9, which deals
18 with cycling conditions. Would you be able to
19 assist Mr. Commissioner in describing how those
20 cycling conditions are developed or determined.
21 Who develops those?

22 DR. KIBENGE: Well, actually, in fact these conditions
23 I would say are dictated by the kits that you use.
24 In our case, you know, it shows, you know, 63
25 degrees Centigrade for three minutes, and the
26 other conditions aren't -- those, the 63 degrees
27 Centigrade for three minutes is actually the --
28 what is recommended by the kit and it's based on
29 the reverse transcriptase enzyme that is carried
30 in the kit.

31 Q So those cycling conditions, if I've captured your
32 evidence, are determined by the kit used and not
33 the laboratory.

34 DR. KIBENGE: Exactly. The only variation I would have
35 would be probably the 60 degrees Centigrade by one
36 minute, and that's the annealing temperature,
37 which is defined by the primers and the target you
38 are trying to amplify.

39 Q My last question deals with section 10, which
40 describes validation data. We did hear evidence
41 that Dr. Nylund is using an assay based on
42 Plarre's work in 2005, and the target in that case
43 is 84 base pairs, or 69 base pairs for a different
44 segment. Your lab is using Snow, which is a
45 published assay in 2006, which deals with a 104
46 base pairs, and DFO Moncton is using an assay that
47 was developed in-house for a target of 169 base

1 pairs. So what effect, if any, does the length of
2 the target have on the sensitivity of the PCR
3 testing?

4 DR. KIBENGE: Oh, I think it has a significant effect,
5 and here you have to consider that the development
6 of real time PCR, where you can see each cycle as
7 it develops is based on the length of the cycle.
8 So in essence, you want to see the signal within a
9 very short time of the reaction taking place. And
10 the duration then is defined by the target. The
11 shorter the target, the shorter the cycle and the
12 quicker you receive the signal. So in the case of
13 Snow, you know, the target is 104, but their probe
14 actually is tied to the reverse primer, so there's
15 a very brief distance between the reverse primer
16 and the probe. And once the reverse primer comes
17 into play, it takes a very short time for the
18 probe to start being degraded by enzyme and it
19 gets the -- you get the signal.

20 In the more traditional real time PCR
21 methods, actually the length between -- the
22 distance between the forward primer and the probe
23 is the most important and usually there is only
24 five bases, so the moment the tagged primer is --
25 recognizes the forward primer as being annealed
26 properly and it starts synthesizing that strand,
27 within one or two seconds it should be able to hit
28 the probe, degrade it, and you get the signal. So
29 that you don't have actually to synthesize the
30 whole length of that target before you get the
31 signal. And that's the main difference in
32 sensitivity between conventional RT-PCR, where you
33 have to do the whole thing, which is very long,
34 with real time RT-PCR.

35 And so the target actually is very important
36 in the diagnostic sensitivity. And the length of
37 the target in part is controlled by the length of
38 the probe. You know, because the -- and certainly
39 traditional real time RT-PCR, the length of the
40 probe is usually 21 to 25 bases, and therefore you
41 have to have enough room on either side of the
42 probe for, you know, some distance to get the
43 primers. Nowadays the better or the more
44 sensitive real time PCR, you can have a probe of
45 just about seven or eight bases long, and that
46 allows you even a shorter target, and therefore
47 more sensitivity of the real time PCR method.

1 Q So is it a fair characterization that the longer
2 the target, the less sensitive the test? Is that
3 a fair characterization?

4 DR. KIBENGE: Oh, yes. That's true, yes.

5 MR. COADY: Thank you, Mr. commissioner. I appreciate
6 the opportunity to ask some questions.

7 MR. MARTLAND: Mr. Commissioner, we won't be beginning
8 the second panel until we resume at 1:30. I do
9 have some three areas to cover off.

10 Mr. Lunn, just to alert you, in a moment I
11 will be going to Exhibit 2067, and following that
12 to Exhibit 2054.

13

14 RE-EXAMINATION BY MR. MARTLAND:

15

16 Q I think my three areas all relate to Dr. Kibenge.
17 The first, Dr. Kibenge, stems out of questions
18 that were put to you by counsel for Canada that I
19 think used the language about retainers, which you
20 resisted in terms of the fees that you're paid --
21 that your lab, AVC, is paid for doing ISAV
22 testing. I think I know the answer. How much
23 does an ISAV test cost?

24 DR. KIBENGE: Right now out of my lab, we charge \$45
25 per test.

26 Q 45.

27 DR. KIBENGE: \$45, yes, per test, and by "per test", I
28 mean per sample.

29 Q All right. Do you -- do you limit, do you simply
30 do that testing for whoever comes to you and asks
31 for the test? Do you limit yourselves to only
32 testing industry, private people, ENGOs,
33 government. Is there any restriction on who you
34 test for?

35 DR. KIBENGE: No, we are a third party independent lab,
36 and I would probably just summarize it by saying
37 we don't discriminate.

38 Q My second area, Mr. Lunn, if we could have a look
39 at Exhibit 2067. Thank you. And if we look on,
40 or indeed in that first area, it's a fairly
41 technical question. But, Dr. Kibenge, in the
42 context of your evidence, and I won't take anyone
43 to it, but the reference is Exhibit 2034, your
44 paper that deals with this question about the
45 software employed for the RT-PCR testing. There's
46 reference in the first part of this email to MxPro
47 that seems to relate to Kyle Garver's testing. If

1 you could help me to understand this MxPro, one of
2 the softwares, or related to one of the hardware
3 and software setups that you considered in the
4 context of that analysis of software used at
5 different labs.

6 DR. KIBENGE: Yes. This software is actually the one
7 that is used with the Stratagene machine, and it
8 would be the one that would have been common to
9 the seven labs that we flagged for having false
10 negatives and high Cts.

11 Q With respect to my third area, if we could look at
12 Exhibit 2045, and I'll in fact go to page 11 of
13 this document, of the PDF version when it comes
14 up. Before I do that, just to situate what this
15 question is about. A few minutes ago my friend,
16 Ms. Schabus, asked you questions and took you to a
17 different page of that document, page 15. When we
18 see Exhibit 2045, what you'll see is the draft
19 manuscript with Dr. Molly Kibenge as the lead
20 author; you're listed as a co-author. It only
21 ever went to the status of being a draft
22 manuscript. She took you, Ms. Schabus took you to
23 a page that dealt with Cultus Lake and positive
24 test results on ISAV segment 8 of basically 100
25 percent. I just want to see if I can understand a
26 little bit more about that.

27 At the page 11, if we could go there, please.

28 It may be PDF page 11.

29 MR. LUNN: That's PDF 11.

30 MR. MARTLAND: I'm sorry, it's actual page 11. Thank
31 you.

32 Q So under the bold heading of "Sockeye", do you
33 know does that refer to the Cultus sockeye that
34 were tested? You'll see in the first line there
35 the reference:

36 Although all Cultus Lake sockeye samples...

37 It goes on. So I take it that's the reference to
38 sockeye in that passage.

39 DR. KIBENGE: Yes.

40 Q If I can read from it. If you have a look at the
41 last sentence in the first paragraph:

42 The nucleotide sequence of these inserts had
43 identity to ISAV only in the primer sequence.

1 The question out of that comment, that passage, is
2 this: is non-specific binding a possible reason
3 why the sequencing product showed homology to ISAV
4 in the primer sequence only?

5 DR. KIBENGE: Can you repeat --

6 Q Yes.

7 DR. KIBENGE: -- is the what, is the...?

8 Q Yes. Is the non -- is non-specific binding a
9 possible reason why the sequencing product showed
10 homology to ISAV in the primer sequence only?

11 DR. KIBENGE: No. If it's non-specific, it should not
12 bind. These were primers that have been used or
13 were being used at the time in my lab and in other
14 labs, and they have been developed by Devold in
15 2001, widely used in Europe and the U.S. and
16 Canada, and (indiscernible - overlapping
17 speakers).

18 Q And I suppose trying to zoom back at least a
19 little bit out of the minutiae of the detail, does
20 that take away the risk or the concern that this
21 could relate to false positive results for ISAV?

22 DR. KIBENGE: No. I wouldn't call it false positives.
23 You know, this testing was done. I also got
24 samples in my lab and I was able to repeat some of
25 the results that Dr. Molly Kibenge got. So in my
26 view, I think we ruled out false positives,
27 contamination, and so on. But there again, I
28 think the Pacific Biological Station had a
29 structure in place, that then a valuation of the
30 results and goes forward with what they decide to
31 do.

32 Q Ms. Gagné, you've heard me ask those fairly
33 detailed questions. Do you have any comment or
34 evidence on that question?

35 MS. GAGNE: I have seen in the disclosed documents the
36 sequence of these non-specific, and the match has
37 nothing to do with any fish. The match is random
38 mouse, human, and I have seen that with FA3/RA3
39 primers we were using at the time. We dropped
40 using them because we found that they were
41 matching non-specifically to the salmon RNA and
42 producing non-specific amplification in the same
43 size as the positive product, but upon sequencing
44 it's clear that it's a non-specific product.

45 Q And what do you draw from that?

46 MS. GAGNE: This actually, for me, if I read that
47 without any knowledge, I just see that you have

1 accidentally obtained a product of the wrong --
2 it's a non-specific amplification, and this is not
3 uncommon.

4 Q And at the risk of one last round of ping-pong,
5 Dr. Kibenge, would you have any response to that?

6 DR. KIBENGE: Well, I --

7 Q I want to keep this in the context, so I don't --
8 appreciating that we're going back to a draft
9 manuscript from 2004 that didn't progress further,
10 you were -- you had some involvement in it but you
11 weren't the lead author on this.

12 DR. KIBENGE: Yeah, and --

13 Q But if you have any comments...

14 DR. KIBENGE: -- my comment was that, I mean, we didn't
15 only look at segment 8. We also looked at segment
16 7, and the results showed there that in both cases
17 there were ISA virus sequences that confirmed that
18 actually what we were detecting was ISA virus
19 sequences in the waters of British Columbia. But
20 again, you know, depending on how you want to put
21 the result, you can't attribute a lot of reasons
22 to the result. In this particular case, the
23 samples were classified as being because of cross-
24 contamination.

25 What people miss here is that this study was
26 not only doing ISA, it was actually testing for
27 three different viruses. The other two viruses,
28 all the results were negative. But ISA was being
29 done by the same person. So the negative results
30 were quickly accepted. The positive results were
31 considered contamination. If contamination is
32 because of the activities in the lab, the person
33 doing the work, and so on, I wouldn't expect that
34 contamination to be virus-specific, or ISA-
35 specific, such that you can only produce when your
36 outcome is ISA, but when (indiscernible - rapid
37 speech) these are the samples, all of sudden you
38 see then you get good results. So those are
39 things that (indiscernible - voice drops off).

40 MR. MARTLAND: Mr. Commissioner, I think that concludes
41 the evidence, unless you -- subject to any
42 questions you may have of this panel, I think
43 we're in a position to excuse and to thank both
44 Ms. Gagné and Dr. Kibenge for their significant
45 contribution to our work. Thank you.

46 THE COMMISSIONER: Yes. I want to add to that, Mr.
47 Martland, to Ms. Gagné and to Dr. Kibenge, thank

1 you so much for travelling from Charlottetown and
2 Moncton to Vancouver to participate in this
3 proceeding, and to provide this Commission with
4 your evidence. We're grateful for the time you've
5 taken to do that. Thank you very much.

6 MS. GAGNE: You're welcome.

7 DR. KIBENGE: Thank you.

8
9 (PANEL EXCUSED)

10
11 MS. PANCHUK: The hearing will now adjourn until 1:30
12 p.m. Please remain standing in place while the
13 Commissioner exits the room. Thank you.

14
15 (PROCEEDINGS ADJOURNED FOR NOON RECESS)
16 (PROCEEDINGS RECONVENED)

17
18 MS. PANCHUK: The hearing will now resume.

19 MR. MARTLAND: Mr. Commissioner, we begin, now, with
20 the second panel on the ISAV evidence. There's
21 two preliminary comments I'd like to cover off.
22 There's, first, just a reminder of the rule that
23 there's to be no photography or recording in the
24 room. Secondly, that witnesses, we ask to please
25 use the on/off toggle button on your microphone to
26 turn it off and on. That doesn't apply for
27 counsel, incidentally.

28 We have, Mr. Commissioner, a second panel of
29 witnesses; Dr. Kim Klotins -- from right to left,
30 Dr. Kim Klotins, Mr. Stephen Stephen, Dr. Peter
31 Wright, and Dr. Simon Jones. I'd ask, at the
32 outset, to have these witnesses affirmed, please.

33 MS. PANCHUK: I'll have each of you state your name,
34 please. I'll start on your right-hand side, if
35 you could press the --

36 DR. JONES: Simon Jones.

37 DR. WRIGHT: Peter Wright.

38 MR. STEPHEN: Stephen J. Stephen.

39 DR. KLOTINS: Kim Klotins.

40 MS. PANCHUK: I understand that Simon Jones was
41 previously affirmed, and that stands.

42
43 SIMON JONES, recalled,
44 reminded.

45
46 MS. PANCHUK: We'll start on the right.

1 PETER WRIGHT, affirmed.

2
3 STEPHEN STEPHEN, affirmed.

4
5 KIM KLOTINS, affirmed.

6
7 MS. PANCHUK: Thank you. Counsel?

8 MR. MARTLAND: Thank you. Mr. Commissioner, we're not
9 seeing to qualify these witnesses as experts for
10 the purpose of the evidence we are seeking to
11 elicit from them, today. For the record, I should
12 observe Dr. Jones was previously qualified. He
13 testified, as you will recall, in earlier hearings
14 on sea lice and disease topics and the context of
15 that his qualification was as an expert in
16 parasitology and immunology, with a specialty in
17 sea lice and diseases of salmon, including as this
18 relates to farmed and wild salmon.

19 In very brief order, I will give a very basic
20 sense of the background of each of these
21 witnesses, beginning, please, with Exhibit 1997,
22 Tab 5 (indiscernible - overlapping speakers) --

23 MR. TAYLOR: Mr. Martland, could I just clarify
24 something in what you just said? Dr. Jones is an
25 expert previously qualified, you're not bringing
26 them here as experts, but my submission, Mr.
27 Commissioner, is Dr. Jones was, is and remains an
28 expert in what he's been qualified in for purposes
29 of this panel. He was qualified before, and
30 that's important, because some of the questions
31 that he will be asked about have to do with ISA
32 and, in fact, I don't remember exactly what he was
33 qualified as before, although it includes
34 virologist, but it was focused on sea lice at the
35 time, as you recall.

36 It is my submission that he is a
37 knowledgeable expert in ISA. He will explain what
38 periods of time he did work in that area, and for
39 the purposes of this evidence here, today, which
40 is a different subject area than the other three
41 panellists, it's my submission he should be an
42 expert now, as he was before, and including ISA.

43 MR. MARTLAND: And Mr. Commissioner, I have no
44 difficulty with that and, indeed, the
45 qualification previously made is my understanding
46 of the qualification, the specific language
47 includes:

1
2 With a speciality in sea lice and diseases of
3 salmon.

4
5 I think that language would be broad enough to
6 capture Mr. Taylor's concern.

7 MR. TAYLOR: Yes, that's fine. And so --

8 MR. MARTLAND: So I accept Canada's point and am
9 prepared to lead the evidence on the footing that
10 Dr. Jones's expert qualification applies today.

11

12 EXAMINATION IN CHIEF BY MR. MARTLAND:

13

14 Q With respect to the background of each of these
15 witnesses, number 5 on our list of documents,
16 Exhibit 1997, Dr. Klotins, you'll recognize that
17 as your C.V.?

18 DR. KLOTINS: Yes.

19 Q The first question's perhaps the easiest. By way
20 of a brief overview, you have a doctor of
21 veterinary medicine and a doctor of veterinary
22 science and epidemiology by way of some of your
23 academic credentials. Since May of 2010, you've
24 been acting in the position of National Manager of
25 Disease Control Contingency Planning, a position
26 that includes implementing mandatory notification
27 and disease response and training of veterinary
28 inspectors; is that correct?

29 DR. KLOTINS: That is correct, thanks.

30 Q Secondly, Tab 6 on our list, Mr. Stephen, Exhibit
31 1998 is the document that's on screen. You'll
32 recognize that, sir, as being your C.V.?

33 MR. STEPHEN: Yes, I do.

34 Q By way of your academic background, you have a
35 BSc. and an MSc., both degrees in biology, and
36 your present role is the Director of Biotechnology
37 and Aquatic Animal Health Science Branch with the
38 DFO in Ottawa?

39 MR. STEPHEN: Yes.

40 Q In that role, is it correct to state that you
41 provide national guidance, direction and
42 leadership in the development and implementation
43 of Canada's National Aquatic Animal Health program
44 and the Genomics and Biotechnology programs?

45 MR. STEPHEN: That's correct.

46 Q Now, Dr. Klotins, in my very quick review of your
47 background, I neglected to provide your official

- 1 title, so please tell me if I have this correct.
2 I understand that you're the Acting National
3 Manager with the Disease Control Contingency
4 Planning Branch of CFIA in Ottawa?
5 DR. KLOTINS: The Disease Control and Contingency
6 Planning section --
7 Q Section.
8 DR. KLOTINS: -- of the Aquatic Animal Health Division
9 in the Policy and Programs Branch at the CFIA.
10 Q All right. Thank you for that. With respect to
11 Tab 7 on our list, Exhibit 1999, Dr. Wright, I
12 expect you'll recognize that as your C.V.; is that
13 correct?
14 DR. WRIGHT: Yes, it is.
15 Q Your title is the National Manager of the National
16 Aquatic Animal Health Laboratory System with the
17 DFO, and you're situated in Moncton, New
18 Brunswick?
19 DR. WRIGHT: Correct.
20 Q And by way of only touching at the surface of your
21 background, you have a PhD. In veterinary
22 immunology, you've done significant work
23 internationally, including for the OIE, and in
24 2006 you moved over to the DFO in the position of
25 manger of the new -- then new National Animal --
26 sorry, National Aquatic Animal Health lab system?
27 DR. WRIGHT: Correct.
28 Q Let me start by asking each of you, in an overview
29 level and in a quick method, if you can do so, to
30 provide - and I'll start with Dr. Klotins - but
31 the question will be to provide an overview of the
32 respective roles of CFIA, DFO and, in particular,
33 where DFO's Moncton lab fits into surveillance,
34 reporting and investigation of reportable aquatic
35 animal health diseases.
36 DR. KLOTINS: The CFIA is the lead agency under the
37 authority of the *Health of Animals Act*, and some
38 of the supporting regulations, to design and
39 implement the National Aquatic Animal Health
40 Program, and that program consists of import
41 controls, disease controls within the country,
42 export health certification, and with support from
43 risk assessment and surveillance. And the
44 diagnostics and research for the NAAHP, the
45 National Aquatic Animal Health Program, is
46 provided under MOU with Fisheries and Oceans
47 Canada, and I believe there's a collection of wild

1 stock as well under that MOU.

2 Q And when does the NAAHP date to?

3 DR. KLOTINS: I believe the funding for the NAAHP
4 occurred in 2005, but maybe you know better,
5 Stephen? 2005. I started with the agency in
6 2006, so I wasn't right there at the beginning.
7 And at that point, then the, you know, once the
8 budget was received and the hiring began of staff
9 and then the start of the design of the program,
10 the first order of business was to amend the
11 **Health of Animals Regulations** and the **Reportable**
12 **Diseases Regulations** to bring aquatic animals into
13 the fold of the CFIA.

14 Q Mr. Stephen, in terms of that question around the
15 respect of roles of CFIA and DFO and equally where
16 the DFO's Moncton lab fits into the picture, would
17 you be able to add any additional points on that
18 question?

19 MR. STEPHEN: Yes, I can. DFO, as Dr. Klotins pointed
20 out, has the responsibility under the program for
21 the diagnostic research, the diagnostic testing,
22 and providing scientific advice on diagnostic
23 activities under the scope of the program. The
24 program was funded in 2005 by the Federal
25 Government and it was a partnership envisioned
26 because of DFO's decade-old knowledge and
27 experience in testing for aquatic animal diseases
28 paired up with CFIA's regulatory authorities under
29 the **Health of Animals Act** and **Regulations**. And
30 our Moncton laboratory is one of three key
31 laboratories doing the diagnostic work, and each
32 laboratory is designated based on the type of
33 diseases as a national reference laboratory for
34 various diseases, and Moncton, of course, is our
35 ISA -- the national reference laboratory.

36 Q And just so I have the context, we've had a lot of
37 evidence through the course of the Commission
38 hearings about PBS, the Pacific Biological
39 Station. Does it have a similar sort of role for
40 other viruses or diseases?

41 MR. STEPHEN: Yes, it does. We actually have a -- and
42 you might have heard, also, statements about the
43 Freshwater Institute in Winnipeg, so the three
44 main laboratories for our network. Dr. Wright can
45 speak more to that. We have a fourth laboratory
46 which also was mentioned, I think, by Nellie
47 Gagné, and that's our biocontainment laboratory in

1 Charlottetown, which deals with an ability to do
2 diagnostic research on exotic disease because of
3 its containment capacity.

4 The specific reference laboratories for
5 diseases, I don't have the list with me, but
6 perhaps Peter can allude to some of that?

7 Q Indeed, I'll, Dr. Wright, ask you the question
8 about what exactly is the National Aquatic Animal
9 Health Laboratory System? And I don't know if
10 that gets abbreviated to NAAHLS, with a silent "H"
11 or what the right acronym is.

12 DR. WRIGHT: NAAHLS will do just fine. Prior to coming
13 into DFO and prior to NAAHP, actually, all the
14 laboratories are regional; there are six regions
15 across Canada. The idea, here, was because we
16 were moving into a national program, was to
17 develop a national platform for diagnostic
18 laboratories. So that's, in essence, what we have
19 done. So they're not acting just regionally,
20 they're acting nationally. In order to do that,
21 we've implemented a quality management system
22 right across the board. We've also implemented a
23 LIM system for sample receipt and tracking all the
24 way through. We have harmonized most of our
25 testing platforms, which allows us to increase our
26 capacity so that all the labs can actually be
27 running the same assays on the same platforms.

28 So the idea here was to underpin a national
29 laboratory system.

30 Q I have a more narrow type of question, Doctor. If
31 I could ask Mr. Lunn to please bring up Tab 80,
32 Exhibit 2022 on the screen. When we see it, I
33 expect you'll see a letter of designation. I hope
34 this is a quick "yes/no" question, but we'll see.
35 A letter of designation signed by the Vice
36 President of Science of the CFIA on October 28,
37 2011. It gives a designation of some people who
38 work in DFO's Moncton lab as having the authority
39 to carry out diagnostic analysis of finfish
40 suspected of ISAV infection.

41 Is that a special designation that is
42 effectively geared towards the investigation
43 arising from reports mid-October onwards? I'm
44 sorry, you'll need to push the button.

45 DR. WRIGHT: Yeah, sorry. It's not a special
46 designation. This is a designation that is
47 required from CFIA to allow any laboratory to test

1 on their behalf for specific diseases.

2 Q And I guess I'm just curious about the timing of
3 this, because it dates to October 28 and would
4 seem to fit in with the timeline of recent events
5 on the ISAV front.

6 DR. KLOTINS: I can speak to that, because --

7 Q Certainly, Dr. Klotins.

8 DR. KLOTINS: -- it is a CFIA designation --

9 Q Thank you.

10 DR. KLOTINS: -- under the *Health of Animals Act*. We
11 had been -- we had identified, earlier on in the
12 year, because of our -- because we were starting
13 to put together a program for network
14 laboratories, that there was a requirement for
15 CFIA to approve these network laboratories, and we
16 identified that that ability to approve the
17 network laboratories had not been delegated from
18 the Minister yet, and so we had to do that work.
19 And then we were in the process of -- it took
20 quite a while to get that delegation, and then we
21 were in process of getting those letters of
22 designation for the NAAHLS laboratory staff.

23 And the notification occurred prior to
24 getting those designations out. Senior management
25 decided that in view of the disease response we
26 had to do here, we would designate initially for
27 ISAV, but eventually all the DFO staff that work
28 on behalf of the National Aquatic Animal Health
29 Program will be designated more fully to conduct
30 the tests we require for the program.

31 Q Mr. Lunn, I wonder if you would be able to draw up
32 Tab 8, Exhibit 1759. Dr. Jones, I realize only
33 now, that I introduced the other panel members and
34 not you, and I don't want to leave you out from
35 that basic introduction. You have testified
36 previously in these hearings.

37 First, you'll see that as being your C.V.
38 already in evidence; is that right?

39 DR. JONES: That's correct.

40 Q And in a nutshell, you have degrees by way of a
41 BSc., an MSc., and a PhD., and currently serve the
42 position of Research Scientist with the PBS in
43 Nanaimo with the DFO, and bear the title of Head
44 of Fish Parasitology; is that right?

45 DR. JONES: That's correct, I lead the Fish
46 Parasitology Research Program.

47 Q Thank you. I expect my next series of questions

1 will focus on the other three witnesses, and I
2 will have some questions for you, sir, towards the
3 conclusion of my questions today.

4 Let me move to some questions, Dr. Klotins,
5 I'd like to ask you to address, please. These
6 deal with the questions about reporting suspected
7 cases of ISAV. I'll do that, and Mr. Lunn, I'm
8 throwing you a curveball. Rather than Exhibit
9 2027, which is our Tab 103, I'd like to see if we
10 could draw Canada's Tab -- if we could look at Tab
11 103 of our list, but equally, I will look to go to
12 Tab 29 of Canada's list of documents.

13 And as that comes up, that's 103 of our list,
14 and I can use that as a starting point. This is a
15 directive, Dr. Klotins, indeed, that you signed,
16 dated January 19. It gives -- it advises of the
17 mandatory notification of reportable aquatic
18 animal health -- sorry, aquatic animal diseases;
19 is that right?

20 DR. KLOTINS: Yes, this directive went to veterinarians
21 and aquatic animal health specialists in Canada
22 that we had lists for.

23 Q Okay. And now, the document I was reaching for
24 via Canada's disclosure, and Tab 29 of Canada's
25 documents, I think, in turn, has three documents,
26 so there may be a covering e-mail and then there's
27 a document which is awfully similar but a little
28 different in that the first paragraph -- we can see
29 it on the right-hand side there -- the first
30 paragraph's longer. And Mr. Lunn, if you can
31 bring up the document at the far right of the
32 screen, please, that document uses different
33 language. We see it in the second sentence:

34
35 Canadians who own or have possession, care or
36 control of aquatic animals are required to
37 notify...when they suspect or detect a
38 Reportable...disease.
39

40 DR. KLOTINS: Yes, that's correct.

41 Q Can you help me understand the process or why
42 there are two separate documents that are
43 otherwise basically the same?

44 DR. KLOTINS: There are two separate documents because
45 they relate to different parts of the **Health of**
46 **Animals Act** and the section -- I think if -- yes,
47 5.1 is on the screen there, speaks to persons who

1 own or have possession, care or control of an
2 animal and notify the nearest veterinary
3 inspector.

4 Q And before I forget to do it, if we could please
5 mark this exhibit.

6 MS. PANCHUK: 2103.

7
8 EXHIBIT 2103: Aquatic Animal Health Division
9 Directive dated January 19, 2011, Subject:
10 Mandatory Notification of Reportable Aquatic
11 Animal Diseases
12

13 MR. MARTLAND: 2103, thank you.

14 Q What does "suspecting a disease" mean?

15 DR. KLOTINS: It means that they have some information
16 or some idea that the disease may be present in
17 the fish that they own -- they possess, own, care
18 or have control of. Some fact. And it could be
19 whatever fact they think gives them the suspicion
20 that the disease is there.

21 Q And it's hard to resist the urge to look at this
22 in the subjective or objective kind of way,
23 because I suppose any one individual's sense of
24 when something is suspicious may be quite
25 different across different people and --

26 DR. KLOTINS: Mm-hmm.

27 Q -- indeed, when we talk about the situation where
28 there's a duty to report, not simply for fish
29 health professionals or veterinarians or, broadly,
30 for Canadians, that that might lead different
31 people to have different views of when they're
32 required to report?

33 DR. KLOTINS: Yes, I agree. The other part of -- well,
34 I guess what we're also planning to do, and we've
35 started to do, is to provide some information to
36 all who are obligated to notify about the, you
37 know, information about the various diseases, or
38 reportable diseases.

39 We have a couple of the Q and A fact sheets
40 up on the external website. The rest are in the
41 process of being approved. And we have pictures
42 that are going with those diseases. We let them
43 know where we think they occur in Canada right
44 now, and we give probably the most common clinical
45 signs and who they can contact if they suspect has
46 disease.

47 So there will be more educational effort

1 coming in the future.

2 Q Let's not try and grapple with the vast range of
3 subjective ways that individual Canadians might
4 look at it, but if I can ask a hypothetical about
5 labs that are in a position to assess and screen
6 for ISA in particular. From the CFIA's point of
7 view, at what point should the lab be reporting,
8 on one level, if somebody, somewhere, sends in
9 tissue and asks for an ISAV test, that would seem
10 to signal that someone is suspicious about ISA.
11 I'm wondering, I'm just looking to get a sense of
12 where, along the spectrum of interests, suspicion,
13 more than suspicion, at what point would the CFIA
14 expect that test, the fact of that testing or the
15 results of the testing to be reportable?

16 DR. KLOTINS: Yes, it could occur at that point.
17 Depending on what is put on a laboratory
18 submission form, if the laboratory has one. There
19 may be other factors that indicate suspicion. The
20 diagnostician will read those as well. And
21 especially in view of that, they may not get the
22 whole animal in, but bits of tissue. We prefer
23 that they report sooner rather than later.

24 Q The reason for that seems obvious, but why is
25 that?

26 DR. KLOTINS: Basically, so that we can start
27 investigating whether there is some basis to the
28 suspicion. And if, for example, if it occurs in
29 cultured animals, perhaps we can initiate an
30 inspection and go visit the site, take a look at
31 the animals, see if we need to collect more
32 samples that can be submitted to the NAAHLS
33 laboratories.

34 Q I'd like to have, Mr. Lunn, Tab 75 of Commission's
35 list of documents on screen. Dr. Klotins, this,
36 when we see it, I expect you'll see an e-mail from
37 Dr. Kiley, and we see it's an e-mail, in fact,
38 from you to Dr. Kiley, November 4th of this year,
39 in which you say, at the third sentence:

40
41 I'm thinking we should also advise all
42 laboratories in Canada to not test any more
43 samples of wild finfish for ISAV from the
44 Pacific Ocean.

45
46 Could you explain that and help us understand
47 that?

- 1 DR. KLOTINS: The idea behind this was to basically
2 identify that there are samples that CFIA has not
3 provided -- it's a chain of custody issue in that
4 there were samples out there being tested, looks
5 like we had a suspect positive, and we need to
6 confirm what is going out in the wild fish. So it
7 was just an idea. It was never, in terms of
8 whether we could do it or not, that would need to
9 be investigated, but certainly we do have
10 communications with laboratories. We can advise
11 them of, you know, what's been found out in
12 Canada. And my idea was, you know, there are
13 samples out there that we'll not be able to
14 confirm because of the chain of custody. And, you
15 know, really, ultimately we can't tell them not to
16 test, I believe, but it's just an idea I put
17 forward.
- 18 Q I'm not clear, though, why you would look to have
19 labs not to testing?
- 20 DR. KLOTINS: Because I would prefer that we started
21 something that CFIA had oversight over and that
22 then we could confirm the findings in the long
23 run.
- 24 Q Is that a question of distrust of labs that might
25 be doing those tests?
- 26 DR. KLOTINS: No. No, it had no -- no distrust there.
27 I mean, we would have had to -- they were not
28 network laboratories, number one, so we would have
29 to evaluate whether they could do the work for us.
30 Right now, there are no approved laboratories; it
31 would have to come to NAAHLS.
- 32 Q Mm-hmm.
- 33 DR. KLOTINS: And we also wanted the oversight on
34 sample collection, shipment to the lab, to the lab
35 that we can confirm through, and -- and that's why
36 I made the recommendation.
- 37 Q What happened to the recommendation?
- 38 DR. KLOTINS: It was -- we never used it.
- 39 Q It didn't go anywhere?
- 40 DR. KLOTINS: No.
- 41 Q So this idea that simply to really put out words
42 -- put out the word not to continue in such
43 testing, that was a suggestion made but never --
- 44 DR. KLOTINS: Yeah.
- 45 Q -- acted upon?
- 46 DR. KLOTINS: No, it was --
- 47 Q Was there any intention in this to avoid or

1 prevent future additional reports of ISAV
2 vis-à-vis Pacific salmon?

3 DR. KLOTINS: No.

4 Q There have been a number of documents being
5 developed, I appreciate, from CFIA; plans,
6 procedures, protocols for dealing, first,
7 generally with aquatic animal diseases, and in
8 specific terms with ISAV. I wonder, Mr. Lunn, if
9 you can put Tab 92 -- I'm sorry, I forgot to mark
10 that last document, I think, as an exhibit, if we
11 can do that, please.

12 MS. PANCHUK: 2104.

13
14 EXHIBIT 2104: E-mail dated 11/4/2011 from
15 Kim Klotins to Cornelius Kiley, Subject:
16 Laboratory Result Notification of a negative
17 test result
18

19 MR. MARTLAND: Tab 92 of our list of documents is the
20 Aquatic Animal Health Functional Plan. This is a
21 draft, I expect, dated September 1, 2010.

22 Q Do you recognize that, Dr. Klotins?

23 DR. KLOTINS: Yes.

24 MR. MARTLAND: If this could be Exhibit 2105, please.

25 MS. PANCHUK: So marked.

26
27 EXHIBIT 2105: Canadian Food Inspection
28 Agency, Aquatic Animal Health Functional Plan
29 Draft, September 1, 2010
30

31 MR. MARTLAND:

32 Q And whether by way of reference to this or if
33 there are other documents you think we should be
34 looking at, but I'd be looking to have an
35 understanding, in a summary way, of the purpose
36 and status of CFIA's work towards developing
37 procedures and protocols for aquatic animal
38 diseases.

39 DR. KLOTINS: In terms of?

40 Q What's the state of play in terms of developing
41 this plan and other plans and procedures to deal
42 with aquatic diseases?

43 DR. KLOTINS: This plan is an overarching view of how
44 we would conduct disease response within the CFIA
45 and would identify any partners we have agreements
46 with. And then, in terms of supporting this
47 document with specific policies and procedures, we

1 have developed the policy for receipt and
2 processing a mandatory notification and
3 determination of initial inspection. We have
4 developed a procedure on how that should be done
5 within the CFIA.

6 We've also developed hazard specific plans.
7 In particular, we started with four diseases,
8 including ISAV, and those speak to specific
9 disease response that should be considered for
10 those diseases.

11 We also have sampling procedures in place for
12 sampling cultured finfish, cultured molluscs and
13 cultured crustaceans that help with the Aquatic
14 Animal Health Functional Plan.

15 Those are probably the main documents that I
16 can think of right now.

17 Q And by way of Mr. Lunn's magic, I'm hoping we
18 could bring some of these up in succession. Tab
19 93, Exhibit 2023, I expect will be the Mandatory
20 Notification Suspect Phase Disease Response
21 Policy. Do you recognize that?

22 DR. KLOTINS: Yes.

23 Q Tab 94, Exhibit 2024, should be the Receipt and
24 Evaluation of Mandatory Notifications. I think
25 you alluded to that a moment ago.

26 DR. KLOTINS: Yes.

27 Q I'll skip Tab 95, indeed, and move onto Tab 96,
28 which I think will be the Hazard Specific Plan in
29 a draft version from April 2011; is that correct?

30 DR. KLOTINS: Yes.

31 MR. MARTLAND: Let me move, now, into -- and I'm sorry,
32 I need to mark, variously, these documents. Just
33 96. 2106?

34 MS. PANCHUK: So marked.

35
36 EXHIBIT 2106: Canadian Food and Inspection
37 Agency ISAV Hazard Specific Plan Draft, dated
38 April 2011
39

40 MR. MARTLAND: Let me now move towards the fall of
41 2011, ISAV tests that have taken place, and CFIA's
42 -- initially, I'll focus on CFIA's investigation
43 arising from those reports. Let me start by way
44 of a more general type of a question.

45 Q Dr. Klotins, what steps does the CFIA take to
46 confirm a report of an infectious disease, in
47 particular vis-à-vis ISAV reports from this fall,

1 what steps were taken?

2 DR. KLOTINS: Okay, let me see. In terms of the ISAV
3 notification that we received from Dr. Kibenge,
4 the first one on October the 15th, we did ask Dr.
5 Kibenge if he had samples that we could test to
6 corroborate his findings. There were none. We
7 also started a trace back, where we identified
8 where these specimen came from, and they came from
9 Dr. Routledge, SFU. And so we identified all the
10 members of the population that were involved with
11 the testing. The 48 fish resulted from a larger
12 population of, I believe, just over 400 fish, and
13 some went to UBC as well. And so we did some
14 trace back, and we identified where they were
15 located and issued quarantine orders on those
16 samples and then collected them and shipped them
17 to Moncton for testing to see if we could
18 corroborate findings again in the larger
19 population.

20 And we also identified that some of the
21 specimens went to Dr. Nylund in Norway, and we did
22 request from Dr. Nylund if he had some information
23 on the testing was he willing to share it with
24 Canada, and he agreed that he would if the people
25 in Canada were not willing to do so. That was the
26 first notification.

27 MR. MARTLAND: That sound is usually somebody's cell
28 phone that is on close to a mike. Whether you
29 turn off the phone or move it will usually do the
30 trick. It's not me. Please carry on.

31 DR. KLOTINS: Subsequently, we had a second
32 notification from Dr. Kibenge that he had gotten
33 some positives from samples that were submitted to
34 him from wild salmon in B.C. I believe they were
35 collected around the Weaver Creek/Harrison River
36 area. And we requested, again, from him
37 homogenate, or at least his tissues that we could
38 test to corroborate his findings again. And again
39 did a trace back to find out where these fish came
40 from and what condition they were in, in terms of,
41 you know, some idea of what the clinical signs
42 could be if there were any. And that was the
43 second notification.

44 Q And that's helpful by way of an understanding, and
45 there may be, you appreciate, some more detail to
46 the response or other testing. But let me ask,
47 now, about in these situations, what is the

1 direction or directive from CFIA in terms of what
2 confirmatory or additional testing is to take
3 place, and then, secondly - or two other points -
4 what happens in terms of brief and trade partners,
5 what happens in terms of advising or giving an
6 update or notice to the OIE?

7 DR. KLOTINS: Right. So we basically knew right from
8 the beginning we probably wouldn't be able to
9 confirm the results, but we wanted to get an idea
10 of whether ISAV actually exists out there or not,
11 and which is why we did some of the testing,
12 corroborative testing. Sorry, but I --

13 Q No, no, that's fine, and there's a lot -- I'm
14 combining my questions --

15 DR. KLOTINS: Yeah.

16 Q -- which isn't always very effective. But let me
17 pick up on a point you made a moment ago. I think
18 you said that you expected or you knew from the
19 beginning that it would be unlikely that you'd be
20 able to confirm results. Why do you say that?

21 DR. KLOTINS: That's right, because we had no oversight
22 on the collection. So the CFIA, because our
23 decisions are very important, can affect multiple
24 stakeholders and partners, including international
25 trade, and because these were wild fish, so it
26 would affect the commercial fishing industry in
27 particular, we need to be very sure that when we
28 make decisions about calling an area or a
29 particular population of fish positive that they
30 truly are positive.

31 So as part of that process, we provide
32 oversight in the collection, the shipping, in the
33 approved laboratories and so we can be sure of the
34 results applied to those populations in terms of
35 our decision-making, inform our decision-making.

36 Q Does the CFIA get -- I'm wondering if it's CFIA,
37 DFO, the lab, who is it that makes the decision
38 about which test to engage in?

39 DR. KLOTINS: The CFIA, there is a laboratory
40 submission form that we need to fill in and it's
41 CFIA that determines what disease to test for. In
42 terms of what tests are used, that is agreement
43 between DFO and CFIA, called a Test Method
44 Agreement, and we work collaboratively, you know,
45 collaboratively together on what is going to be
46 accepted.

47 In terms of case definitions, what we

1 eventually call a positive, those case definitions
2 are built into the Hazard Specific Plans and they
3 define what a positive case is for an individual
4 fish, and then for a population of fish out in the
5 wild, basically out in the watershed.

6 Q Dr. Wright, you have an OIE background, I know. I
7 wonder if you can help us understand in terms of a
8 Canadian process for determining or confirming
9 ISAV vis-à-vis an OIE notice or reporting
10 standard, are those two the same; are they
11 different?

12 DR. WRIGHT: They're very, very generally the same.
13 The only thing that's really different in there
14 would be the particular assay being used. But we
15 have a test method agreement that, as Dr. Klotins
16 said, where basically we look at what our approach
17 will be to test apparently healthy populations or
18 clinically effected populations, all the while
19 being aware of what the definitions are within the
20 OIE that they put out in their manual.

21 Q Okay.

22 DR. WRIGHT: And so it's, if you want, it is a
23 partnership, but was part of the quality system we
24 run we have to have agreement from our client as
25 to how we're going to approach any of the
26 diagnostics that we're doing on their behalf.

27 Q Mm-hmm. Now, Dr. Wright, I'll continue with you
28 for a moment. We've heard this concern about
29 chain of custody. Some of the documents refer to
30 chain of custody concerns at a general level.
31 Could you help us understand what are those
32 concerns? What effect would they have on
33 confirmatory testing?

34 DR. WRIGHT: Well, the chain of custody is, well, it's
35 not just confirmatory, it's for any testing that
36 would be done. The chain of custody is --
37 basically assures that when the samples are
38 collected one use -- that CFIA knows where they
39 came from, how they were collected, how they were
40 preserved, how they were shipped, and when they
41 were received in the lab, and that chain of
42 custody goes all the way through every lab
43 procedure that's done, all the way to the point
44 where the report of analysis is issued.

45 So basically chain of custody is from point
46 of collection right to the point of reporting, and
47 every step and every person in between, to assure

1 that that report matches what's happening out
2 there in the field.

3 Q Is the concern there that someone might
4 deliberately contaminate? Is it a concern that a
5 lab unintentionally may cross-contaminate? Is it
6 a bit of both?

7 DR. WRIGHT: It's probably -- it's a bit of both. I
8 mean, there have been situations, and I'm not
9 implying that any -- anything that's happened
10 here, but there are situations that have happened,
11 and certainly in the terrestrial world, where the
12 chain of custody, once broken, sometimes mistakes
13 can be made where, you know, one sample may be
14 substituted for another, even when they're
15 originating in the field or if they're mislabelled
16 this, that and the other. And in the end you end
17 up with an erroneous result that doesn't match the
18 case that was submitted originally.

19 Q Mm-hmm. Dr. Klotins, you referred, a little while
20 ago, to the, I think, to Dr. Routledge and having
21 taken or obtained some fish from him, the fish
22 that he used in his research project. I wonder,
23 at a general level, what is the -- if you can help
24 us understand when the CFIA would obtain -- I
25 gather that the word "seizure" has a different
26 meaning in the terms of the CFIA's work than it
27 might more generally, so calling it a seizure may
28 not be the right terminology. When would it
29 obtain fish samples from someone like Dr.
30 Routledge or others who have relevant samples?

31 DR. KLOTINS: Yeah, it's embedded in the legislation as
32 well, in a number of sections, but in terms of the
33 reportable diseases, once we've been notified,
34 then s. 6 of the **Health of Animals Act** speaks to
35 providing samples and information that help with
36 the investigation.

37 Q In Dr. Routledge's case, did he contact you or
38 express a view about the return of his fish
39 samples, of his fish tissue, back to him?

40 DR. KLOTINS: Yes, he did.

41 Q What was his view on that?

42 DR. KLOTINS: He requested to have his samples back, as
43 they represent the sum total of his sample
44 collection for 2011 from that particular area
45 where he collected.

46 Q Did you face a similar request from Alexandra
47 Morton?

1 DR. KLOTINS: I believe there was a request, yes.

2 Q And have those samples been returned, or will they
3 be?

4 DR. KLOTINS: The removal of the quarantine orders and
5 the decision to return the samples, that's still
6 under advisement, but the decision should be made
7 soon.

8 Q Who makes the decision?

9 DR. KLOTINS: The inspector makes the decision.
10 Usually the one that puts the -- the inspector
11 that puts the quarantine orders in, but a lot of
12 people can contribute to that decision.

13 Q I don't want to sound too simplistic, but if the
14 result of attempts at confirmatory testing
15 suggests that the ISAV is not found to be there,
16 is there still a need -- why would there still be
17 a need to hold onto samples if that concern's been
18 effectively addressed?

19 DR. KLOTINS: Yes, what we needed to address was what
20 was identified in the risk assessment is to make
21 sure that those samples weren't contaminated when
22 they were sent to the lab in Moncton. So
23 basically we're sending back the samples that came
24 to the lab is what goes back to Simon Fraser
25 University.

26 Q Dr. Wright, in terms of the DFO Moncton lab and
27 the testing that it's done, is it right to say
28 that the Moncton lab, the Gulf Fisheries Centre, I
29 take it is another way of referring to the Moncton
30 lab, does the Gulf Fisheries Centre conduct
31 confirmatory tests before Canada would ever make a
32 report to the OIE? For ISAV.

33 DR. WRIGHT: For ISAV? Yes, of -- well, yes, for ISAV.
34 It's the Moncton lab, or GFC, is the national
35 reference laboratory for ISA, so any confirmatory
36 testing that would be done within the NAAHL system
37 would be done at that laboratory with Nellie Gagné
38 being recognized as our ref lab expert.

39 Q I asked a question about the notice or the
40 characterization for OIE versus for CFIA or
41 Canada's point of view. How about the designation
42 of these laboratories? There's an OIE reference
43 laboratory, which is Dr. Kibenge's lab for ISAV.
44 There's also a CFIA national reference laboratory
45 for ISAV, which is the DFO Moncton lab.

46 DR. WRIGHT: It's quite normal for any country like
47 Canada, the U.S., anywhere in the U.K., that you

1 do have your own national laboratory system,
2 whether it's for aquatic animals or terrestrial
3 animals, and within those -- the infrastructure of
4 those lab systems you will designate a national
5 reference laboratory for specific diseases or
6 groups of diseases.

7 The OIE designation is just that, an OIE
8 designation. It has really no implications for
9 the host country, itself. The idea is that with
10 the OIE you have different regions around the
11 world and they try and put a reference laboratory
12 into each of the individual regions and they're
13 there to provide support to those member countries
14 of the OIE that may not have the laboratory or
15 veterinary infrastructure to conduct
16 investigations for the diseases that those
17 reference labs are responsible for.

18 There are a large number of reference labs
19 the OIE has designated probably in the last 15
20 years or so in building the network, and they
21 cover a very large range of both terrestrial and
22 aquatic animals. But it is primarily to help
23 those member countries that do not have the
24 appropriate infrastructure to do the diagnosis
25 themselves.

26 Q Dr. Klotins, I'd like to come back just
27 momentarily to this question around returning fish
28 to researches or people who've submitted fish or
29 tissues. I wonder, is there a concern that if the
30 CFIA is regularly acquiring samples from either
31 people or labs, I suppose, that that fact, in
32 itself, could have a chilling effect on people
33 reporting suspicions, that out of a fear that --
34 or, indeed, conducting the testing in the first
35 place that out of a fear that this will simply
36 trigger a process where CFIA is obtaining the fish
37 samples and quarantining them or holding them,
38 that that's a disincentive to engaging in the
39 testing or reporting suspicions?

40 DR. KLOTINS: I don't believe that is the case. In
41 particular with the *Health of Animals Act*, to
42 encourage reporting we do offer compensation for a
43 number of things, including animals that are hurt
44 or destroyed because of sampling. So I don't
45 believe the sampling, itself, is a discouragement
46 to notify.

47 Q I suppose the compensation might be helpful if

1 someone is commercially trying to grow or raise
2 animals but less meaningful to a researcher?

3 DR. KLOTINS: If we ordered animals destroyed by a
4 researcher, they could be compensated as well.

5 Q Dr. Wright, is there a distinction between
6 analytical tests and diagnostic tests?

7 DR. WRIGHT: In the field of regulatory veterinary
8 medicine, analytical tests, if you look at the OIE
9 validation pathway, the first stage, Stage 1, is
10 the analytical validation of the assay, and that's
11 where you're looking at more or less the physical
12 chemical aspects of the assay, itself,
13 biologically included. It looks at things such as
14 initial repeatability. It looks at analytical
15 specificity which would include the selectivity of
16 that assay, the exclusivity of that assay, the
17 inclusivity of that assay, all nice big words.
18 Analytical sensitivity is actually talking about a
19 limit of detection of that assay. And this is
20 where you would do your preliminary care
21 comparisons with any standard of comparison you
22 would have.

23 Moving from that, you move into what's called
24 a diagnostic validation, and this is really
25 looking at the performance of the assay in the
26 context of its ability to detect disease or
27 exposure in animals. So it's gone beyond the
28 analytical stage, it's now moving into a different
29 realm, and that's, I guess, basically the realm of
30 probability; what's the probability that if it
31 tests positive or that if you have an infected
32 animal that it will test positive or, on the other
33 hand, the specificity if you have a non-infected,
34 non-diseased animal it tests negative.

35 And then, when you move from that, then you
36 get down into what's known as predictive values,
37 and actually, Dr. Klotins can probably get into
38 more of that detail, because these are a lot of
39 the epidemiological principles that come into play
40 once the test is put out there into a diagnostic
41 laboratory, taken from research and actually put
42 into a diagnostic application.

43 Q Dr. Wright, does Canada only consider, as
44 confirmatory of ISAV, does Canada only consider
45 positive tests that follow Ms. Gagné's protocol as
46 used at the Moncton lab?

47 DR. WRIGHT: In the context of Canada?

1 Q Yes.

2 DR. WRIGHT: Well, what we would expect to see right
3 now, I mean, in the transitioning into the
4 National Aquatic Animal Health Program, much like
5 what it would be for the Terrestrial Animal Health
6 Program, is that any laboratory testing on behalf
7 of CFIA would have to be using validated tests.
8 It doesn't necessarily mean that it has to be our
9 test. But they would have to show all of those
10 validation criteria in order to convince their
11 client, which is the National Animal Health
12 Program that they have a validated test that has
13 the performance requisites required.

14 Now, unfortunately for most of these tests,
15 that information is not there. The analytical
16 might be there, but the diagnostic probably isn't
17 there, mainly because it's very difficult to get a
18 hold of reference animals, or there are
19 alternative ways you can go to look and analyze
20 the diagnostic performance, but for the most part
21 they're not done. So you would want to depend on
22 assays where you do have those characteristics in
23 -- that have been properly determined.

24 Q We've heard evidence around the OIE manual - I
25 don't know that I need it on screen, but it's
26 Exhibit 1676 - and in the OIE manual, and perhaps
27 you alluded to this in earlier evidence, refers
28 to, for example, Plarre and Snow and some names
29 and publications we've heard of earlier. I
30 wonder, are the protocols that the DFO Moncton lab
31 considered equivalent or better than what's in the
32 OIE manual --

33 DR. WRIGHT: Compared --

34 Q -- for ISAV?

35 DR. WRIGHT: Sorry?

36 Q For ISAV?

37 DR. WRIGHT: For ISAV? They're considered comparable.
38 At least that was the information that we were
39 operating on up until this point in time. There
40 was no reason to believe otherwise. And again,
41 that's through a lot of in-silico testing, but
42 we've also gone through and done field validation
43 of this assay as well.

44 Q Can countries, broadly speaking, can countries use
45 any test they like so long as they're following,
46 from an OIE perspective, so long as they're
47 following the international validation protocol?

1 DR. WRIGHT: Yes, that's one of the keys. The fact
2 that a procedure -- the whole idea of the manual
3 is, again, to allow those countries that don't
4 have that infrastructure, whether it was research
5 and/or diagnostics, that it gives them procedures
6 that by fact that they're in the OIE manual they
7 have accepted with respect to their performance
8 characteristics. It doesn't say anywhere that you
9 must use these procedures, but if you have your
10 own they must be equivalent -- equivalent or
11 comparable. Some statisticians will tell you you
12 can never prove equivalency or superior to the
13 tests that are in there. And over time the OIE --
14 the idea is the manuals, when they're reviewed,
15 will be updated, so that it should be the better
16 tests that are being replaced as you go along.
17 And that does, over time, but it's a long process.

18 But no, you don't have to use the OIE
19 procedure, but you have to be able to demonstrate
20 that comparability or superiority using the
21 principles of validation as outlined by the OIE.

22 Q I take it, sir, you were in the room for
23 yesterday's evidence and this morning for the
24 first panel, is that right?

25 DR. WRIGHT: Yes.

26 Q I'm curious as to whether you heard anything
27 through the course of that evidence, for example,
28 Dr. Kibenge, his paper that looked at the software
29 that these different labs have used, has anything
30 caused concern or changed your view of the
31 methodology the DFO Moncton lab has used?

32 DR. WRIGHT: No, I mean, given the information that we
33 have, at this point in time, or up until this
34 point in time, there was no reason to believe that
35 there was any problem with our assay.

36 Q There was no reason to believe. Is there, now, a
37 reason to believe?

38 DR. WRIGHT: I won't know that until we actually have
39 confirmation that we have a variant of this virus
40 out there, where we may have to look at modifying
41 our technique in order to be able to detect it on
42 a reliable basis, which will also require that we
43 go through the whole validation process once
44 again, which is fine, but it all takes time.

45 But essentially, you need something to work
46 with, and we don't have that at this point in
47 time. So basically, to answer your question, I

1 don't know, yet.
2 Q I'd like to, at a topic level, look very quickly
3 at some internal government communications to
4 understand the updating -- effectively, the
5 updating process. I'll start, Dr. Klotins, with
6 Tab 63 of Commission Counsel's list of documents.
7 I think what this document will provide is a
8 series of different reports that are CFIA
9 documents, called Situation Reports. Tab 63.
10 Thank you. So we'll start with the first. That
11 will be fine to put it on screen.
12 And these reports, you'll see the one on
13 screen is number 2, but we have 2 through to 18
14 under this tab in our list of exhibits. Can I
15 confirm that these are CFIA situation reports, Dr.
16 Klotins?
17 DR. KLOTINS: Yes, they are.
18 MR. MARTLAND: I'd ask that these collectively be
19 marked as the next exhibit, please.
20 MS. PANCHUK: Report 3 has been marked as Exhibit 2095,
21 previously.
22 MR. MARTLAND: Yes, I think the third one has been
23 marked previously, and so that we can note that on
24 the record, but I'd like to actually mark the
25 remainder collectively, indeed, all of these, if I
26 can do that, 2 through 18, as being, I think,
27 Exhibit 2107, if my math's right.
28 MS. PANCHUK: That's right. So marked.
29
30 EXHIBIT 2107: Situation Reports (Internal)
31 #2 through #18 for the period October 19,
32 2011, to December 8, 2011
33
34 MR. MARTLAND: Thank you. One presumes --
35 MR. ROSENBLOOM: Excuse me, Mr. Martland. To make
36 things simple, the report that I filed to be
37 marked as an exhibit, I can withdraw that so it
38 all goes in under one package under one exhibit
39 number, so it's no confusion later.
40 MR. MARTLAND: I think it's tempting, but not simpler
41 that way.
42 MR. TAYLOR: The problem is that exhibits that have
43 been marked have been referred to on the record
44 and it becomes confusing. Thank you.
45 MR. MARTLAND: I think we'll leave that line, thank
46 you.
47 Q It seems self apparent these are, as they say,

1 internal situation reports. Is that the purpose
2 of these communications?

3 DR. KLOTINS: Yes. And they're primarily
4 communications to senior management in CFIA, the
5 purpose of these.

6 Q Tab 61 of Commission's list of documents, this
7 starts at update #2. I understand that what was
8 treated as update #1 was an e-mail from Ray
9 Fletcher to a number of people. That should be
10 Tab 61, and will come up in a moment. Is that the
11 case?

12 DR. KLOTINS: I can't speak to whether this is
13 considered situation #1 or not.

14 Q Okay. That's fine. I'd like to, nonetheless, ask
15 that this be marked as an exhibit.

16 MS. PANCHUK: 2108.

17
18 EXHIBIT 2108: E-mail dated 10/18/2011, from
19 Ray Fletcher to Kim Klotins, et al, Subject:
20 SFU samples
21

22 MR. MARTLAND: If I could move to Tab 59. Mr. Stephen,
23 I don't want to leave you out, and indeed,
24 although the same moniker isn't used within DFO,
25 we see here something in the upper right listed as
26 being issue updates as per calls with CFIA.

27 Q Could you first confirm that that is what it says
28 it is and tell us what these documents are?

29 MR. STEPHEN: Unlike CFIA, we don't have formalized
30 situational reports, so I issued e-mails to senior
31 management with a summary of the discussions we
32 had with CFIA when the investigation calls. This
33 appears to be a compilation of numerous ones, so I
34 haven't had a chance to go through it and compare
35 it against my individual ones. But in general,
36 that would be the format I would provide it in.

37 MR. MARTLAND: Okay. If these might be marked, then,
38 as Exhibit, I think, 2109.

39 MS. PANCHUK: So marked.

40
41 EXHIBIT 2109: Issue updates - as per calls
42 with CFIA, for period October 18, 2011, to
43 December 7, 2011
44

45 MR. MARTLAND: Thank you.

46 Q Who are Siddika Mithani and Wayne Moore, Mr.
47 Stephen? Do you report to them?

1 MR. STEPHEN: Wayne Moore is my Director General of
2 Strategic and Regulatory Science Directorate, and
3 Dr. Siddika Mithani is my Assistant Deputy
4 Minister of Ecosystems and Oceans Science Sector
5 in the Department.

6 Q Have you played the role in this -- I'm sure it's
7 been an awfully busy time since October onwards,
8 vis-à-vis ISAV. Have you played the role of
9 briefing those two individuals about ISAV
10 developments, including testing at the DFO Moncton
11 lab?

12 MR. STEPHEN: Yes, I have. At the headquarters level
13 I've consolidated, along with a couple of my
14 staff, consolidated information both coming from
15 CFIA and coming from our laboratory and providing
16 both verbal and written briefings to them.

17 If I may add, I've also briefed, at one time,
18 the Associate Deputy Minister, several other
19 assistant deputy ministers, and several times the
20 ministerial office staff at their request.

21 Q And whether it's vis-à-vis the two superiors I
22 named or others, the ADM and others, have they
23 directed you as to anything to do with how to
24 communicate about or what to say about the ISAV
25 testing that has been conducted?

26 MR. STEPHEN: They may only have questions about
27 further information, when we will get samples
28 back, and you may have some correspondence, e-mail
29 correspondence, asking, "When are the results
30 coming in from Moncton," those sort of things.
31 But generally, they have left it to me to provide
32 that information to senior management.

33 Q On the question of e-mails, I think you were here
34 through the day yesterday and heard Dr. Miller
35 testify, so partly picking up on a point she made,
36 although, in fairness, I think it wasn't perfectly
37 clear, it was a suggestion rather than something
38 more explicit, it does seem that in terms of
39 production to the Cohen Commission process,
40 perhaps surprisingly fewer e-mails than we might
41 have expected from you and others on the question
42 of ISAV developments. I wonder if there was a
43 conscious decision not to use the written format
44 to have these communications?

45 MR. STEPHEN: No, there wasn't. I can tell you that
46 the only communication I had, and it was noted the
47 other day, was on a call with Dr. Miller and

1 others on November 24th. I received no
2 documentation from Dr. Miller about her samples,
3 about her results, about the origin of her
4 samples, or anything. In fact, the only time I
5 received those was when I received the CD for the
6 Cohen Commission documents.

7 Q All right.

8 MR. STEPHEN: I never saw anything from her, so I had
9 nothing to forward on.

10 Q And in terms of -- I want to give you the
11 opportunity to respond to that suggestion,
12 effectively an implication that there was some
13 preference or direction that people shouldn't be
14 using e-mails about ISAV.

15 MR. STEPHEN: No, I don't think that's the case. When
16 I received the information through the conference
17 call on November 24th, I had a discussion, at that
18 time, with Dr. Miller about had she notified CFIA
19 as per the explanation that Dr. Klotins had just
20 given us.

21 Q Mm-hmm.

22 MR. STEPHEN: Several times she said, "No," and I asked
23 her, "Why?" and she said, Well, she wouldn't
24 normally -- she wouldn't notify anybody unless she
25 confirmed something. I explained, at that time,
26 that mandatory notification does not require a
27 firm confirmation, it requires a suspicion, as Dr.
28 Klotins has pointed out, and we have an obligation
29 to notify CFIA.

30 Q Mm-hmm.

31 MR. STEPHEN: Shortly after the call, I called Dr. Con
32 Kiley, superior of Dr. Klotins, and advised him of
33 the fact that Dr. Miller had found samples --

34 Q Okay.

35 MR. STEPHEN: -- that she believed tested positive for
36 ISA. As CFIA is the lead for any investigation on
37 suspicion, I left it with them to go and speak
38 with Dr. Miller about her evidence that she had.

39 Q Mm-hmm. In the context of that discussion, I
40 guess it's a conference call with some folks at
41 PBS, as well as yourself. I think my
42 understanding is Mark Saunders, Stewart Johnson,
43 Kristi Miller, Kyle Garver, Mark Higgins, Karia
44 Kaukinen, as being on that. Does that fit with
45 your recollection?

46 MR. STEPHEN: Well, I remember about four of those
47 people, and the last two probably not. The

1 initial start with the discussion, a few minutes
2 after the discussion and the evidence of Dr.
3 Miller came out, I called in my senior science
4 advisor for the NAAHP, Alf Bungay, to come in and
5 sit with me about -- and hear what was being
6 discussed.

7 Q Mm-hmm. Was there any comment by you, or anyone,
8 to the effect that Dr. Miller should stop testing,
9 shouldn't refer to results as being ISAV-positive
10 results, et cetera; was anything along those lines
11 said?

12 MR. STEPHEN: What I said is that perhaps until CFIA
13 starts their investigation, we should defer
14 further sampling, but I do not have any direct
15 functional or direct authority over Dr. Miller.
16 It was a suggestion, because recognizing trying to
17 chase a number of different results if they're
18 coming constantly, it makes it hard to follow up
19 on an investigation. I did talk to Mark Saunders
20 several times after that call and suggested that
21 in advance or in preparation for CFIA's findings
22 we should plan and have a strategic plan about
23 what questions we have to answer based on Dr.
24 Miller's finding, where we should go with further
25 research, where funding could come from, those
26 sort of things. And Mark Saunders has sent me an
27 e-mail, I believe it was December 8th, relating to
28 referencing that and in consultation with CFIA's
29 plan for surveillance.

30 So my idea, when you move from an investigate
31 -- or a scientific research, pure research, and
32 you're moving into an area where you're going to
33 do research on a regulatory issue, or potentially
34 regulatory disease, it's a good thing to have a
35 planned approach; where are you going; what are
36 the questions you're asking; why are you asking
37 these questions; if we find something, what are we
38 going to do; are we prepared for CFIA to take
39 action as necessary, et cetera.

40 The fact that we were already engaged in
41 discussions with CFIA on the surveillance plan
42 made perfect sense to me to say, "You have to
43 have" -- "Let's integrate whatever Dr. Miller may
44 be wanting to look at and to a broader picture so
45 that we're collaboratively working on things."

46 Q I think you said you don't have functional
47 authority over Kristi Miller, but do you have some

1 influence over funding for her lab?

2 MR. STEPHEN: Only in the fact that I run several
3 processes out of funding I have for funding for
4 researchers across the country. One of those
5 largest amounts of money is the Genomics Research
6 and Development Initiative, which I think you
7 heard Dr. Miller talk to two days ago -- or
8 yesterday, I'm sorry.

9 Q It only feels like two days ago.

10 MR. STEPHEN: But, and in fact, I had just sent an
11 e-mail to Dr. Miller advising her that she has
12 been awarded \$462,000 over the next three years,
13 beginning this year, for research on genomic
14 research, specific for Parvovirus and related
15 research. If I add up all the money she's
16 received since 1999 under the GRDI funding, it
17 amounts to \$2.4 million. She was also awarded, in
18 collaborative work with Ruth Withler, another
19 \$400,000. So, in fact, over the last 10 or so
20 years my office, or the branch I'm in now has
21 awarded about \$2.8 million of funding for her for
22 research.

23 And I'll just add one more thing. The
24 \$462,000 over the next three years represents 20
25 percent of all the funding allotted out of the
26 budget I have for that money. So she's one of
27 eight researchers and she gets 20 percent of the
28 money.

29 Q At some level, is Kristi Miller's, the findings
30 that she described here in evidence yesterday, is
31 that a game changer? Instead of having a
32 situation where AVC has some reports and there's a
33 set of processes that then engage with the DFO
34 Moncton lab to try and learn whether those can be
35 repeated to learn whether, in a sense, the AVC
36 testing is an outlier or something that's hard to
37 explain, to have a DFO lab with Kristi Miller's
38 expertise obtain the results that she obtained, I
39 invite you, Mr. Stephen, and then others, to pick
40 up on that, if you'd care to, does this
41 fundamentally change the picture on the question
42 of whether ISAV may be present on this coast?

43 MR. STEPHEN: I don't think it's a game changer at all.
44 We would, in my opinion, treat this -- anybody
45 bringing forward presumptive positives or what
46 they believe are positives for findings, refer
47 that to CFIA. It's up to CFIA to take the lead on

1 investigating that. We supply the diagnostic
2 capability to do a verification or to try and
3 replicate the other's findings.

4 The fact that it may prompt us, ultimately,
5 to say, "Well, do we need to look," as Nellie had
6 alluded to, and Peter, "Do we need" -- "Are we
7 finding new information to say we have to maybe
8 adapt our processes in the future," what have you?
9 Part of our - and I'll leave it to Peter to speak
10 more about this - part of our quality assurance
11 program is to reassess our diagnostic tests on a
12 routine basis to see if we're in keeping with new
13 developments worldwide, and I think Nellie Gagné
14 spoke to that earlier.

15 Q Mm-hmm.

16 DR. KLOTINS: If I can add, from CFIA's perspective,
17 because by legislation we're the final arbiter on
18 -- or decision-maker on aquatic animal diseases in
19 Canada and those in the aquatic animals that come
20 into Canada, we're in the process of investigating
21 the findings. We've done an initial interview
22 with the researches on that project and one other
23 interview with Kristi Miller with the sockeye
24 salmon. We've gotten some initial information and
25 we have to evaluate it, see if we need to get more
26 information. We have run some tests on the
27 initial sockeye salmon that she was testing and
28 could not corroborate her results, and we have to
29 identify the next steps.

30 But she will -- the research methodology will
31 be under the same scrutiny as for the Atlantic
32 Veterinary College.

33 Q Dr. Wright?

34 DR. WRIGHT: The only thing I would like to add there
35 is the results that Dr. Miller has presented, she
36 has introduced, if you want a new technique into
37 this. It needs to be proven, it needs to go
38 through that Stage 1, and I think, as we saw
39 yesterday with our colleague from Norway, he
40 expressed some scepticism about it, so although it
41 may have merit, there's a lot more work that needs
42 to be done before you would even consider trying
43 to transition that from a research tool into a
44 diagnostic tool, that you would go on and do a
45 full Stage 1, Stage 2, and even up to Stage 3
46 validation, which is putting it out to look at its
47 ruggedness in different laboratories.

1 So although there may be something there and
2 it may be a kernel of starting something, it has
3 long way to go before it would actually find
4 applications that we can convince our trading
5 partner is fully validated.

6 MR. MARTLAND: Mr. Lunn, could you bring up Tab 108,
7 please, from Commission's list of documents.

8 Q Mr. Stephen, you're first on the list of folks who
9 received this. I see Con Kiley was mentioned, we
10 see his name there from CFIA. "Inspection.gc.ca"
11 is for folks at the CFIA, I take it, Dr. Klotins,
12 is that right?

13 DR. KLOTINS: Yes, that's correct.

14 MR. MARTLAND: And indeed, I see you as a recipient of
15 this. If this might be marked, please, as the
16 next Exhibit 2010 -- 2110.

17 MS. PANCHUK: So marked.

18
19 EXHIBIT 2110: E-mail dated November 9, 2011,
20 from Joseph Beres to Stephen Stephen, Kim
21 Klotins, et al, Subject: The Early Bird -
22 November 9, 2011, ISAV
23

24 MR. MARTLAND:

25 Q It's from someone named Joseph Beres. Who is he?

26 DR. KLOTINS: Joseph Beres works in CFIA operations in
27 the western area, more specifically out of the
28 Burnaby office, and on this particular disease
29 response he's one of the co-leaders for the team
30 that's running the response.

31 Q Okay. So he's involved in the CFIA's active
32 investigation right now?

33 DR. KLOTINS: Yes. Yes, he still is, yes.

34 Q Okay. Now, I appreciate he's not here and neither
35 of you, although you received this, didn't write
36 the e-mail, but I want to just pick up on, if you
37 will, a flavour that is pretty clear in this
38 e-mail:
39

40 It is clear that we are turning the PR tide
41 to our favour, - and this is because...

42
43 It goes on to praise Dr. -- you, Stephen, Peter
44 and Paul are listed there as the ones who get the
45 praise:
46

47 Congratulations!

1 One battle is won, now we have to nail the
2 surveillance piece, and we will win the war,
3 also.

4
5 That language, that way of framing it is, "If
6 there's a hill to be won and we need to fight our
7 way up it and win that battle," suggests that CFIA
8 is going into this with a hypothesis or with an
9 end goal, and I'd like to put that -- and I'd like
10 to put that to you, Dr. Klotins. Is that an
11 attitude that's prevalent or shared with others at
12 CFIA? Am I misreading this?

13 DR. KLOTINS: The values for CFIA are actually to -- to
14 deal with any response in a professional manner,
15 especially when dealing with external
16 stakeholders. We may get a little bit exuberant
17 internally. I can't speak to his frame of mind
18 here or how he views disease response in general.
19 I really can't speak to what he was thinking
20 during this.

21 In terms of whether it speaks to you as --
22 how did you frame that, Brock?

23 Q I wonder if it suggests that there's sort of an --
24 that instead of this being a collective enterprise
25 where people are trying to learn the truth of a
26 situation --

27 DR. KLOTINS: Yeah.

28 Q -- this is a hockey game and we're wearing red
29 jerseys and we want to score on the other goal.
30 Is it an adversarial thing? Is the CFIA going
31 into this out of a concern for trade partners and
32 other interests with a view to, however we get
33 there, to announcing there is no ISAV?

34 DR. KLOTINS: Well, I don't read that in the e-mail,
35 because in surveillance you can get both results,
36 you can get positive results and you can get
37 negative results, so I don't -- my read is not
38 that there's a particular viewpoint that we're
39 following. I mean, the point of surveillance is
40 to find out if it is there or it is not there.

41 Q Mr. Stephen, I'd like to ask if DFO -- if you
42 could again address any appearance that DFO, in
43 the course of the testing work that goes on, has
44 gone into this with a view to looking to get to
45 the conclusion that there is no ISA or ISAV?

46 MR. STEPHEN: No, we have not. I can tell you that,
47 for example, our laboratories over the last two

1 years, since fall of 2009, have reported to CFIA
2 five different cases of suspect diseases; four for
3 finfish and one for shellfish. We have actually,
4 out of those five, confirmed one case of ISA in
5 Prince Edward Island. So we're not about
6 disproving anything; we're about proving the
7 facts.

8 As Dr. Klotins pointed out earlier, the
9 importance of finding the facts and being able to
10 verify the presence or absence of any disease has
11 not only international trade significance but
12 domestic impacts as well for everybody concerned.
13 For First Nations, for -- well, fishers, for
14 aquaculturalists, for all Canadians. So we have
15 to be -- it's just like trying to say somebody is
16 guilty until proven innocent; you can't do that.
17 You have to sort of say, "Is this situation true
18 or not?" That's what our objective is, so that's
19 what this whole program is all about.

20 Q Let me move to some questions that deal with the
21 question of inspections of labs, and we've heard
22 some evidence through Dr. Kibenge of that. Dr.
23 Klotins, as part of CFIA's investigation, I take
24 it that it's conducted an inspection or at least
25 started to conduct an inspection of two different
26 labs: first, Dr. Kibenge's lab; secondly, the DFO
27 Moncton lab; is that right?

28 DR. KLOTINS: Yes, correct. Well, they were done -- I
29 think the DFO lab was inspected first, and then
30 the AVC lab was inspected afterwards.

31 Q All right. I'm sorry, the DFO lab was inspected
32 first, and then the AVC?

33 DR. KLOTINS: Yeah, because they're both in the same
34 area, it's just the way the logistics worked out.

35 Q Okay.

36 DR. KLOTINS: Yeah.

37 Q Why was that done?

38 DR. KLOTINS: It was to garner more information on
39 decision-making on whether the findings are true
40 positives or false positives, and that was the
41 reason for the inspections.

42 Q Was to look at the labs that were doing -- that
43 were going to be doing that testing?

44 DR. KLOTINS: That had done the testing and that will
45 -- that are doing our testing as well.

46 Q Now, vis-à-vis Dr. Kibenge's lab, if we could
47 look, please, Mr. Lunn, at Tab 84 from

1 Commission's list of documents, this seems to be a
2 CFIA checklist of Dr. Kibenge's lab, dated back to
3 June of 2009; is that correct? The date's at the
4 very end, I'm sorry. And up, sorry, up a little
5 bit where the handwriting is.

6 DR. KLOTINS: Yes, it's dated June 26th, 2009.

7 MR. MARTLAND: If this could be marked as 2111, please.

8 MS. PANCHUK: So marked.

9

10 EXHIBIT 2111: CFIA-ACIA Inspection Checklist
11 - Animal Pathogen Containment Level 2
12 Laboratories, Importer: Dr. Kibenge
13

14 MR. MARTLAND:

15 Q Was this same checklist what was used to conduct
16 the recent inspection of his lab? And if not, why
17 not?

18 DR. KLOTINS: This checklist was not used, because it's
19 a checklist that was performed by the office of
20 Biosafety and Biocontainment at the CFIA and was
21 done because he was applying for an import permit
22 to bring infected materials into Canada. And what
23 they do is they assess what materials he's going
24 to bring in and what his purpose is, like how he's
25 going to use the materials, and whether his
26 laboratory is contained in terms of he can use
27 those pathogens and it won't escape his
28 laboratory.

29 Q In the course of setting up this process of
30 inspecting the different labs, I wonder, Dr.
31 Wright, was that a process that you were giving
32 advice on or involved in?

33 DR. WRIGHT: I --

34 Q I'm sorry, that wasn't a very clear question. Not
35 in the 2009 case but, rather, the more recent
36 testing -- sorry, the more recent inspection that
37 has take place vis-à-vis -- and I should say
38 inspection and assessment. I don't know if
39 "audit" is the right word.

40 DR. WRIGHT: No, it's an assessment, it's not an audit.

41 Q All right.

42 DR. WRIGHT: And as Dr. Klotins said, it was trying to
43 gather information in order to explain the
44 divergent results between the two laboratories.

45 Q Mm-hmm.

46 DR. WRIGHT: So the same process was used for both
47 labs. We were inspected first only because we

1 were on the way. They were inspected the very
2 next morning.

3 Q Okay.

4 DR. WRIGHT: But what you're looking at here, in this
5 document, is what is required to have any
6 laboratory certified to use pathogens in their
7 lab, either at the bench level or, see, this is
8 Level 2, or you kick it up a notch to Level 3, if
9 you're actually using live pathogens. There are
10 two standards that are out there that CFIA has
11 developed; one is for terrestrial pathogens, and
12 the other is for aquatic animal pathogens. This
13 is actually -- it looks like the old form.

14 In terms of the assessment, the only thing
15 that I provided to the working group were some
16 resource documents from the OIE with respect to
17 what the expectations were for validation of an
18 assay, and nothing more than that.

19 Q We believe --

20 DR. WRIGHT: I was really just putting on my OIE hat
21 and providing them with a resource document to a
22 validation pathway.

23 Q Now, Exhibit 2102, and if you were in the room for
24 some of the testimony, I think the new checklist
25 may indeed have been led into evidence. Do you
26 remember seeing it through --

27 DR. WRIGHT: Yeah, but from where I was sitting --

28 Q No, it's not a memory test, so that's --

29 DR. WRIGHT: I mean, basically, it's what that title is
30 above.

31 Q Okay.

32 DR. WRIGHT: If it says "aquatic", then it's the new
33 one.

34 Q All right. Thank you.

35 DR. WRIGHT: That's the latest standard to come out
36 from CFIA.

37 Q Dr. Klotins was -- indeed, maybe, Mr. Lunn, you
38 can wiggle that 2102 over into view. Is that what
39 you were referring to, Dr. Wright?

40 DR. WRIGHT: But again, it doesn't say "aquatic" on
41 this one. I mean, the two standards at Level 2,
42 which is really a bench level, are very, very
43 similar.

44 Q Okay.

45 DR. WRIGHT: So there's not too much difference but
46 there are checklists, one for aquatic and one for
47 terrestrial now, but they're just transitioning

- 1 those into play.
- 2 Q Dr. Klotins?
- 3 DR. KLOTINS: Yes, and if I can add to that, the reason
- 4 we checked whether he was still approved to import
- 5 pathogens was there was a concern from
- 6 stakeholders in the Atlantic provinces that, let's
- 7 say it was truly a new ISAV, it would be a strain
- 8 that is not present on the east coast, and we
- 9 would want to make sure it doesn't escape the
- 10 laboratory on the east coast.
- 11 Q In terms of this lab assessment process, Dr.
- 12 Klotins, who - I don't need a comprehensive list -
- 13 but who, in fact, actually is doing the
- 14 assessment?
- 15 DR. KLOTINS: The safety officer at the Atlantic
- 16 Veterinary College would do the assessment. So
- 17 they've been approved by the university to conduct
- 18 these assessments.
- 19 Q What I'm wondering about, though, is if I have it
- 20 correct, the CFIA has engaged somebody from the
- 21 University of Guelph, if I have it right, to
- 22 examine and report on the AVC and the DFO Moncton
- 23 labs, but I --
- 24 DR. KLOTINS: I think I misunderstood you. I thought
- 25 you were talking about the biocontainment
- 26 assessment.
- 27 Q I'm sorry, I was trying to --
- 28 DR. KLOTINS: I'm sorry.
- 29 Q -- back out to a broader question. That's fine.
- 30 DR. KLOTINS: The laboratory assessment, the one we
- 31 conducted on both Moncton and AVC is -- we -- it
- 32 was two people from CFIA and Davor Ojkic, from the
- 33 University of Guelph --
- 34 Q Okay.
- 35 DR. KLOTINS: -- who's an external.
- 36 Q Yes. Mr. Stephen?
- 37 MR. STEPHEN: If I may just add that both Peter and I
- 38 were supportive of having an external examiner for
- 39 this assessment team, and we were happy to see
- 40 somebody from OVC, or whomever.
- 41 Q Was there input put into that assessment process
- 42 that we've been talking about, was there input
- 43 into that from Dr. -- I'm sorry, from Ms. Nellie
- 44 Gagné?
- 45 DR. WRIGHT: No, there wasn't.
- 46 Q Exhibit for ID SSS, please, Mr. Lunn. Now, Dr.
- 47 Wright, I don't know if you've looked at this, or

1 Dr. Klotins, for that matter. Does this not
2 suggest -- there may be an e-mail that covers --
3 there, we see it there, ahead. That seems to
4 suggest that there was some discussion with
5 Nellie, I presume Gagné. I don't know if that --
6 I'm not asking you to infer it from the document,
7 but do you know if Nellie Gagné was consulted
8 about this?

9 DR. KLOTINS: Yeah, I can speak to that. This was
10 basically at the beginning of the investigation we
11 wanted to -- we started to initiate discussion
12 about whether there were some issues in this
13 laboratory or with the test methodology, because
14 the findings just didn't seem right. So we wanted
15 -- and plus, we could not assess his methodology
16 at this point, but just what he wrote on his lab
17 report was a little bit concerning, in terms of
18 whether, you know, it really was a true positive.
19 And so Tim Davis, who's our area program
20 specialist for aquatics in the Atlantic area, he
21 -- we were initially thinking that the assessment
22 -- they were putting together the assessment
23 checklist before we formed the team to get the
24 process going, and so he just started some of the
25 preparatory work and he did -- Tim didn't
26 understand the test methodology that well, so he
27 went to visit Dr. Gagné at the Moncton lab to
28 learn more about PCR testing and all its foibles
29 and why it's not a perfect test.

30 Q All right.

31 DR. KLOTINS: And so that's his summary of the
32 discussion with Nellie, and she was looking at Dr.
33 Kibenge's report, the initial one.

34 Q There's a second document which may help to
35 situate some of these questions, and it certainly
36 may be that I'm misunderstanding the timing of
37 things or where different pieces of the work fit
38 together. Tab 83 of Commission's list of
39 documents. Dr. Klotins, to you and Victoria
40 Peterson, from Tim Davis, it talks about meeting
41 with Nellie Gagné [as read]:

42
43 I confirm that we will need someone with PCR
44 expertise, not just experience -

45
46 -- pointing out some issues with the OIE
47 reports --

1
2 - some other areas you may want to check
3 during the inspection. Too bad we can't take
4 her.
5

6 Does this relate to the laboratory assessment from
7 the OVC person that you mentioned?

8 DR. KLOTINS: No, this was after Tim went and talked
9 with Nellie or -- he felt very uncomfortable that
10 he could do the lab assessment, so he was
11 recommending that somebody else with more
12 expertise should be conducting the lab assessment.
13 He gave a recommendation of Nellie, but that -- it
14 was decided to put together a team. The project
15 lead was Ingrid van der Linden, and she was to put
16 together a team first to come up with a checklist,
17 and then a team that actually went and did the
18 assessment.

19 Q Dr. Wright, were you on that team?

20 DR. WRIGHT: No. As I said, I was not on the
21 assessment team.

22 Q Okay.

23 DR. WRIGHT: No, I was part of the working group.

24 Q Okay.

25 DR. WRIGHT: And as I said, my only input to that
26 working group was from the OIE perspective in
27 providing them with some resource information with
28 respect to the OIE guidelines for the validation
29 and the validation pathway.

30 Q And was Dr. Kibenge sought out for input or advice
31 or involvement in this process?

32 DR. KLOTINS: In terms of developing a lab assessment
33 checklist?

34 Q Yes.

35 DR. KLOTINS: No.

36 Q Why not?

37 DR. KLOTINS: Because he's the one being assessed.

38 Q CFIA and DFO have a close working relationship, a
39 mutual relationship vis-à-vis the DFO Moncton's
40 lab on an issue like ISAV, so Dr. Kibenge was left
41 off the list, so to speak, but why is it that we
42 see the involvement, in terms of if I broaden it
43 to inspections leading up to the assessment, that
44 we do see the involvement of people from DFO or
45 CFIA?

46 DR. KLOTINS: Well, as I indicated before, Tim went to
47 speak to Dr. Gagné because he wanted to learn more

1 about the process, and it -- what it clarified for
2 him is that he's not expert in doing the
3 assessment, and the decision, then, was made to
4 put together a team. In terms of putting together
5 the assessment itself, we had the expertise
6 in-house in order to do that, in particular
7 because we will be eventually assessing network
8 labs and it's a similar protocol that we would use
9 to do that.

10 Q I appreciate she may have the expertise in-house,
11 but I think my question isn't so much where do you
12 draw -- where can you find experts or who else do
13 you need to bring into the equation so much as the
14 concern, frankly, about the appearance of a
15 conflict of interest. If DFO Moncton is the
16 subject of an examination and an inspection,
17 ultimately an assessment, how is it that DFO or
18 CFIA people are involved in that process? It
19 would seem not to be an independent process. And
20 to jump ahead, at least drawing some initial --
21 they may be initial conclusions from the
22 assessment process, seem to be more critical of
23 AVC than DFO Moncton.

24 DR. KLOTINS: Whether it needs to be an independent or
25 not depends on the information we were looking for
26 so we can make decisions on whether it's a true
27 positive or not. In terms of conducting -- it
28 really is an extension of the inspection process
29 where we're gathering information, and we felt we
30 could come up with the questions that we needed to
31 make that determination.

32 In terms of -- there was never an intention
33 to do a comparison between the two laboratories.
34 There was never an intention to do a comparison
35 between the two laboratories, it was just to
36 assess whether all the pieces are in place in
37 order to make a determination of whether it's a
38 true positive or a false positive or whatever.

39 MR. MARTLAND: I'd like to move, Dr. Jones, to asking
40 you some questions, and Mr. Commissioner, I'm just
41 looking at the clock; it's 10 past 3:00. Perhaps
42 if I can take five or seven minutes and see
43 whether I can not complete my questions but
44 complete these questions relating to Dr. Jones?

45 THE COMMISSIONER: I think we should adjourn now.

46 MR. MARTLAND: Adjourn at this point? That's fine.
47 Thank you.

1 MS. PANCHUK: The hearings will now adjourn for 15
2 minutes -- or recess for 15 minutes. Please
3 remain standing while the Commissioner exits the
4 room. Thank you.

5
6 (PROCEEDINGS ADJOURNED FOR AFTERNOON RECESS)
7 (PROCEEDINGS RECONVENED)
8

9 MS. PANCHUK: The hearing will now resume.

10
11 EXAMINATION IN CHIEF BY MR. MARTLAND, continuing:
12

13 Q Mr. Lunn, if you're able to put on screen Tab 100
14 of Commission's list, Dr. Klotins, I'll direct a
15 question to you. This is -- has got a clear stamp
16 of "draft" across the front. It's the -- listed
17 as the surveillance plan for ISAV, IPNV and IHNV
18 dealing with salmon in B.C.; is that correct?

19 DR. KLOTINS: Yes.

20 MR. MARTLAND: If this might be marked as Exhibit -- I
21 think 2112?

22 MS. PANCHUK: So marked.
23

24 EXHIBIT 2112: Surveillance Plan for ISAV,
25 IPNV and IHNV in Anadromous Salmonids in
26 British Columbia - November 2011
27

28 MR. MARTLAND:

29 Q Could you give us a sense please, Dr. Klotins, of
30 the timing of the work on this surveillance
31 program?

32 DR. KLOTINS: Timing in what terms?

33 Q How far along is either the document, which is
34 marked "draft" but more broadly, where do things
35 stand in terms of a surveillance program for ISAV
36 in wild fish?

37 DR. KLOTINS: Okay. So the surveillance plan, I
38 believe, is in its second or third draft now.
39 There's been review by basically the partners,
40 CFIA and DFO, to -- internally to make sure we're
41 -- at least we've got a plan that we're fairly
42 comfortable with. There's still some more work to
43 be done on that. It's a plan that involves both
44 wild and cultured fish and they'll be surveyed a
45 little bit differently and the document explains
46 how that will be done.

47 In terms of -- once we're satisfied

1 internally that we've got something to go out
2 with, I believe the plan is to consult with a
3 broader stakeholder group and see if that is
4 doable, particularly because of the sampling
5 collection points we're proposing for the wild
6 fish. So basically, to see if we can implement it
7 in the fashion that we're envisioning.

8 So NAAHL is working diligently on this and I
9 would imagine that in January we can start the
10 broader consultation to see if it's implementable
11 and hopefully we can begin, you know, based on the
12 feedback and the arrangements we can make,
13 hopefully we can start implementing sometime
14 towards late Spring in 2012.

15 Q All right. Mr. Stephen?

16 MR. STEPHEN: Yes, thank you. I just -- because I
17 don't see a date on this, at least in the part we
18 can see --

19 Q Maybe we can --

20 MR. STEPHEN: Sorry?

21 Q No, oh, there we go. November '11.

22 MR. STEPHEN: Okay. It's unclear to me because I
23 haven't had a chance to read this, whether this
24 version that you have here has incorporated any of
25 our comments yet or not, so just want to point
26 that out.

27 Q That's helpful, and I think we should all proceed
28 on the footing this is a document obviously under
29 development right now.

30 DR. KLOTINS: That's right. And it'll be -- I would
31 imagine there would be several more versions
32 before it's finalized.

33 Q Dr. Klotins or Dr. Wright, with respect to this
34 process of laboratory assessments, we've heard
35 about that vis-à-vis AVC and the Gulf Fisheries
36 Centre. There had been suggestion at some point,
37 as I understand, that perhaps the Provincial
38 Animal Health Lab in Abbotsford might be brought
39 into that laboratory assessment program. Could
40 you help us understand that idea, what happened to
41 that, is that something that's a possibility or a
42 prospect for the future?

43 DR. KLOTINS: I'll make some introductory comments and
44 perhaps Peter can speak to it more, because he'll
45 be more intimately involved with the network
46 laboratories, getting them on board with the CFIA
47 to do CFIA's work. But B.C. Ministry of

- 1 Agriculture has expressed an interest to help with
2 the sampling. I don't know if other laboratories
3 have in Canada. They will all need to undergo an
4 assessment and an evaluation to see if they can
5 perform the tests that we need for at least
6 initial confirmation and then -- or at least
7 initial testing and do the confirmation at the
8 NAAHLS laboratory of any positives. So, Peter, if
9 you want to carry on with that?
- 10 DR. WRIGHT: Thanks, Kim. I just need one point of
11 clarification. Are you talking assessment in
12 terms of the assessment that's going on at AVC and
13 the Gulf Fisheries Centre?
- 14 Q Yes.
- 15 DR. WRIGHT: Okay. What Dr. Klotins was talking about
16 was something totally different.
- 17 Q Okay.
- 18 DR. WRIGHT: Okay. So --
- 19 Q Can you help me understand then the distinction
20 between the two? If we're speaking over one
21 another, then --
- 22 DR. WRIGHT: Okay.
- 23 Q -- what the two things were?
- 24 DR. WRIGHT: The -- it -- well, the assessment of the
25 two laboratories where we have the divergent
26 results --
- 27 Q Mm-hmm.
- 28 DR. WRIGHT: -- which was our national reference
29 laboratory and Dr. Kibenge's lab, I'm not sure.
30 It's a CFIA initiative. I don't think to my
31 knowledge that the B.C. NAAHL lab was part of that
32 assessment.
- 33 DR. KLOTINS: No, it wasn't. And it's true, I'm not
34 talking about the exact lab assessment that would
35 be done as was done at Dr. Kibenge's lab, it would
36 be an assessment to see if they can do the work
37 for us.
- 38 Q I see.
- 39 DR. KLOTINS: Yeah. But it looks at a lot of the --
40 well, it would look at --
- 41 Q Yes.
- 42 DR. KLOTINS: -- a lot of the same things and probably
43 some extra, right?
- 44 DR. WRIGHT: I agree. I just wanted to make it
45 clear --
- 46 Q No, I appreciate you making the distinction. I
47 really --

1 DR. WRIGHT: Because what we had just started to
2 initiate was dialogue with what I've been calling
3 third party laboratories.

4 Q Mm-hmm.

5 DR. WRIGHT: Which are either provincial or vet school
6 labs or private, semi-private labs --

7 Q Mm-hmm.

8 DR. WRIGHT: -- that have been conducting diagnostics
9 in Canada, the idea being now with the NAAHP
10 program coming into place, is that we would
11 network these laboratories to increase our
12 capacity and give us search capacity and then they
13 could conduct testing where they could charge a
14 fee for service type thing. So we had to wait at
15 least till this point in the development of the
16 program so that we could get some numbers of
17 anticipated tests so they could build their own
18 business case and determine whether or not they
19 wanted to participate.

20 So as I say, we're just starting down that
21 road and the idea being is we're setting the
22 criteria which they would have to fulfil in order
23 to become one of the network labs testing on
24 behalf of the National Animal Health Program and
25 that document that you produced earlier where you
26 had, you know, designation of laboratory and
27 laboratory staff --

28 Q Mm-hmm.

29 DR. WRIGHT: -- that would apply to them, as well.

30 Q Okay.

31 DR. WRIGHT: Okay? So we are going to be looking, as
32 Dr. Klotins said, at very similar things and
33 what's their level of biocontainment, biosecurity,
34 where are they in their quality management plan,
35 what do they have in terms of laboratory
36 information systems, what do they have in place in
37 terms of training of staff and, you know, all of
38 that. So we are sitting -- setting out the basic
39 criteria and we're having dialogue with them and
40 it's obviously been interrupted in the last little
41 while. So we haven't gone any further on that.

42 Q Right.

43 DR. WRIGHT: But that's the idea, is to network --

44 Q Now, I'm facing my own time allocation limits
45 momentarily, so I've got two last areas, but Mr.
46 Stephen, I think you were looking to make a brief
47 point. Go ahead.

1 MR. STEPHEN: Yes, I believe your question arose from
2 an email I received from Sharon Ford. She's the
3 director from Aquaculture Management within
4 Fisheries and Oceans where she suggested that
5 perhaps if we were going to assess the two
6 laboratories, Moncton and Charlottetown, we might
7 want to consider the provincial lab.

8 I forwarded that request on to CFIA to Dr.
9 Con Kiley, but I did point out to Sharon at the
10 time that I believed that this assessment was
11 based on the investigation that was currently
12 going on and not a broader general assessment of
13 laboratories with ISA capacity, testing
14 capacity.

15 Q Okay. Dr. Jones, largely you've had, I suppose,
16 the benefit of being silent through many of the
17 questions that we've been -- that I've been
18 putting to the panel today. The questions I have
19 to ask you relate to work that Dr. Molly Kibenge
20 did in the run of about 2003 to 2004 in testing
21 Pacific salmon for ISAV. You're familiar with the
22 work that she did.

23 I'll try to put a few documents on the screen
24 and then ask just a few questions to have a clear
25 understanding on this. First of all, Tab 30,
26 please. The question first I'll ask you to
27 confirm these documents are what we understand
28 them to be and to mark them and then -- indeed,
29 let me do that.

30 So first, you recognize this as being a draft
31 paper plus some emails among -- which will be at
32 the end, I suspect, of -- after the paper among
33 variously Dr. Jones, Molly Kibenge and Nellie
34 Gagné in the period of May to June 2004, along
35 with -- what we see here is the draft paper and if
36 we scroll down a little ways we see these emails.
37 Do you recognize that?

38 DR. JONES: Yes, I do.

39 MR. MARTLAND: If this might be marked as Exhibit 2113,
40 please.

41 MS. PANCHUK: So marked.

42
43 EXHIBIT 2113: Presence of Infectious Salmon
44 Anaemia Virus nucleotide sequences in wild
45 Pacific salmon and attached emails
46
47

1 MR. MARTLAND:

2 Q Next, Tab 110, these are emails, Dr. Jones,
3 between you and Molly Kibenge from February 2005;
4 do you recognize those?

5 DR. JONES: I recognize what I see on the screen, yes,
6 I do.

7 MR. MARTLAND: Exhibit 2114, please.

8 MS. PANCHUK: So marked.

9

10 EXHIBIT 2114: Emails between Simon Jones and
11 Molly Kibenge dated February 2005

12

13 MR. MARTLAND:

14 Q Lastly, Tab 111, we jump now ahead to January
15 2006, again emails between yourself and Molly
16 Kibenge; is that correct?

17 DR. JONES: Yes, that's correct.

18 MR. MARTLAND: If that might be Exhibit 2115, please?

19 MS. PANCHUK: So marked.

20

21 EXHIBIT 2115: Emails between Simon Jones and
22 Molly Kibenge dated January 2006

23

24 MR. MARTLAND:

25 Q Dr. Jones, you testified before this commission on
26 the topic of sea lice in early September of this
27 year and prior to that, were interviewed by
28 commission counsel and I take it equally were
29 asked to produce relevant documents that you had
30 that pertained to this commission and the work we
31 were doing; is that correct?

32 DR. JONES: To my recollection, yes, that's correct.

33 Q At the time of that were you -- would you have
34 considered ISA to be an issue -- an issue that at
35 least was something that was on the commission's
36 radar that the commission would be looking into?

37 DR. JONES: No, I did not.

38 Q Were you aware of a dialogue in the public realm
39 or otherwise around the concern about ISA arriving
40 on the Pacific Coast?

41 DR. JONES: Generally, yes, I -- obviously, I am aware
42 that ISA has not been reported and the potential
43 for ISA to occur has been raised as a concern.

44 Q And in terms of these different documents there's
45 -- I've simply had flash across the screen in
46 front of you, could you tell us why those were not
47 produced at the commission until November 11 --

1 sorry, November of 2011?

2 DR. JONES: Dr. Molly Kibenge was a post-doctoral
3 scientist in my laboratory from January 2003
4 approximately until about the middle of June 2004.
5 And that time predates much of this sort of
6 regulatory framework that we've been hearing
7 discussed in this panel up to date. At that time
8 the fish health protection regulations were
9 administered under the **Fisheries Act** and at our
10 station at PBS. Dorothy Kieser was in charge of
11 the diagnostic laboratory and was therefore
12 representing the -- or responsible for the **Fish**
13 **Health Protection Regulations**. So that was sort
14 of where we were at that time.

15 At that time also we had no evidence of ISA.
16 There was certainly no disease, no mortality
17 associated with ISA in farmed salmon. We'd seen
18 no evidence at all that the virus had been
19 isolated on the coast of British Columbia. So
20 Molly -- Molly's research was to survey wild
21 Pacific salmon for viruses, for IHN virus, VHS
22 virus and for ISA virus and our expectation was
23 that we would not see evidence of ISA. So in a
24 sense, this was looking for something we didn't
25 believe to be there.

26 During the course of her work, which involved
27 attempts to culture the virus in cell culture but
28 also to amplify segments of the viral genome by
29 RT-PCR, Molly began to find positive signals in the
30 PCR results and these results were a surprise. Of
31 course, we had not expected to see them. And it
32 was very important for us that we were able to
33 reproduce the findings. So I think to answer your
34 question shortly, the concern that we had with the
35 work that Molly did was that we were not able to
36 reproduce the findings. So she could not
37 reproduce amplification of the Segment 8 genome or
38 it was amplified inconsistently from samples that
39 might be positive one time, negative, and she
40 could never amplify Segment 7, 2 or 6 when she
41 attempted to do that.

42 And this transpired over several months and
43 it was, I think, about October of 2003 that we
44 thought it would be valuable to seek the opinion
45 of another laboratory. From Molly's findings, she
46 was seeing these Segment 8 apparently positive
47 results from chinook salmon quite frequently, so

1 we chose to send 20 samples of chinook salmon to
2 the Atlantic Veterinary College to the lab of
3 Professor Kibenge.

4 Q Mm-hmm.

5 DR. JONES: And those samples were blind.

6 Q Mm-hmm.

7 DR. JONES: We sent ten that were positive from Molly's
8 results and ten that were negative, and we got
9 results back a few weeks later or so, I think
10 sometime in October of 2003, and Dr. Kibenge was
11 able to confirm that there were some positives.

12 Q Mm-hmm.

13 DR. JONES: Where he found the positives were among
14 both groups, so among the positive samples that
15 were provided to AVC. Three of those turned out
16 to be positive in Dr. Kibenge's -- Professor
17 Kibenge's hands, and of the negative samples that
18 we sent, three of those came back positive as
19 well. So we were still concerned that this
20 inability to replicate was -- it was an issue for
21 us. We wanted to be able to confirm the findings,
22 that a positive result or a negative result really
23 didn't mean very much until we could get some
24 evidence of consistency and reproducibility.

25 We met with Dorothy Kieser and Garth Traxler
26 and Molly and myself and I don't remember when
27 that was. I think it was early in 2004, possibly
28 March or so. And as a result of that meeting it
29 was suggested that samples were sent to Nellie
30 Gagné's laboratory at DFO Moncton, which we did.
31 We sent approximately 90, maybe more than 90, 95
32 samples to Nellie's -- to Nellie to confirm by PCR
33 testing for ISA and the results of Nellie's tests
34 were that she could not reproduce the finding, so
35 she found no evidence of ISA when -- and, in fact,
36 she repeated those tests repeatedly and at the end
37 of that replicated process of not being able to
38 reproduce the findings, report it back to us. And
39 I guess we heard yesterday there was some dialogue
40 between Nellie and Mollie regarding trying to
41 optimize what was going on, but --

42 Q Mm-hmm.

43 DR. JONES: -- at the end of the day, Nellie was not
44 able to reproduce the finding.

45 Q Mm-hmm.

46 DR. JONES: So in 2004, and Mollie left very shortly
47 after that, went back to AVC. We concluded at

1 that point that the findings that Mollie had
2 produced were not representative of ISA and that
3 they were -- well, perhaps not a failed
4 experiment, but they were like many other studies
5 where we conduct work, diagnostic work or research
6 for pathogens, that this was a test that did not
7 yield a positive finding.

8 I think it was for that reason that it was
9 not felt to be of significance to this commission.

10 Q It may have certainly in the glare of recent
11 events, it may achieve an importance that may not
12 have been apparent at the time. I suppose the
13 basic question is were these documents that were
14 not disclosed because they were overlooked or were
15 they deliberately set aside and not disclosed?

16 DR. JONES: Well, you know, I mean, I'm trying hard to
17 keep my thinking as it was in 2003/2004 and what
18 we concluded then. I was certainly aware that we
19 had conducted that work, but there was no reason
20 to assign any importance to that. It was a series
21 of experiments that yield some puzzling results
22 that were not verifiable and it didn't seem to add
23 meaning to -- it didn't seem to contribute to
24 anything other than that this was a confusing
25 piece of information that -- yeah, was essentially
26 a negative result.

27 MR. MARTLAND: Thank you. Panel members, thank you
28 very much for addressing the questions I have of
29 you. Canada is next as counsel. We're sitting
30 today until 4:30. Canada's allocation is 70
31 minutes.

32 MR. TAYLOR: Just bear with me here. I'm going to have
33 to move this computer. Thank you.

34
35 CROSS-EXAMINATION BY MR. TAYLOR:

36
37 Q Dr. Johnson -- sorry, Dr. Jones, I'm going to ask
38 you one question and then leave you while I turn
39 to the other panellists and then I'll come back to
40 you, at this point Monday, no doubt. My one
41 question for the moment is when you last worked in
42 ISA or when your work was last focused on ISA? It
43 was around the time you were working with Mollie
44 Kibenge and apparently isn't now, but when did
45 that change?

46 DR. JONES: Well, the work that I just described in my
47 testimony a few minutes ago was the last time that

1 I was involved with work that involved testing
2 methods for ISA virus. I've not since worked with
3 ISA virus or the testing for it.

4 Q All right. And so shortly after your work with
5 Mollie Kibenge and then she went back to Atlantic
6 Veterinary College, what did you move into at that
7 point?

8 DR. JONES: Well, even before Mollie left, I was
9 already beginning to become involved in sea lice
10 research and that became a much more important
11 focus of my research investigations, so from 2004
12 until probably 2009, I spent much of my time on
13 sea lice research.

14 Q All right. I'll turn now to a series of questions
15 of the other panellists and just by way of
16 explanation, if it's not clear, Mr. Commissioner,
17 it appears that there's two different panels
18 really within this panel. Dr. Jones is here for a
19 specific purpose and commission counsel has
20 decided to put him on this panel, but the other
21 panellists are here for the response evidence if I
22 could call it that on the recent report.

23 I want to begin, panellists, by asking you
24 about the regulatory regime that we have for
25 reportable diseases and the situation or what
26 existed before that. Now, my questions invite
27 answers of a fairly gloss nature. We don't need
28 to dig down into the details, I don't think.

29 I'll start with you, Dr. Klotins and ask
30 about the regulatory regime -- now, let me start
31 with Mr. Stephen on the question of the regulatory
32 regime before January 2011 or so, which is when
33 the current regime came into place. And I suppose
34 I better ask the first question, when did the
35 current regime come into place that we've been
36 talking about in Martland's questions?

37 MR. STEPHEN: Well, Dr. Klotins is better able to
38 answer when it came into place, the current one.
39 I can speak about the previous --

40 Q Okay. Well --

41 MR. STEPHEN: Which would you like first?

42 Q And I don't need a specific date, but when did the
43 current regime where CFIA as the lead agency took
44 responsibility for aquatic animal health?

45 DR. KLOTINS: The amendments to the **Health of Animals**
46 **Regulations** came into play on December -- I think
47 it was December the 10th, 2011 or December the

- 1 19th, not exactly sure, December 2011, and the
2 report -- the amendments to the **Reportable**
3 **Diseases Regulations** came into force on January
4 5th -- okay, 2010 for the **Health of Animals**
5 **Regulations**.
- 6 Q Yes.
- 7 DR. KLOTINS: And 2011 for the **Reportable Diseases**
8 **Regulations**.
- 9 Q All right. Just to be sure we've got this clear,
10 'cause I think your evidence a few moments ago had
11 it coming into force this week.
- 12 DR. KLOTINS: Yeah.
- 13 Q Is it right that the **Health of Animal Regulations**
14 were amended to include aquatic animals in
15 December 2010?
- 16 DR. KLOTINS: Yes, it was 2010. Yes.
- 17 Q And then the **Reportable Disease Regulations** were
18 amended to include, amongst other things, ISAV in
19 January of 2011?
- 20 DR. JONES: Yes.
- 21 Q All right. And that is the regime that we're now
22 operating under. Is it the case that for
23 terrestrial animals, the kind of regime that
24 you've been describing, you panellists, in the
25 evidence so far has been in existence for quite
26 some time?
- 27 DR. KLOTINS: Yes.
- 28 Q All right. So we'll come back to you, Mr.
29 Stephen, and before December of 2010 what was the
30 situation and who was responsible and what was
31 done in brief.
- 32 MR. STEPHEN: Okay. There's two pieces of legislation
33 that Fisheries and Oceans is responsible for:
34 Section 56(b) of the **Fishery General Regulations**
35 under the **Fisheries Act** and the one that my branch
36 deals with **Fish Health Protection Regulations**. I
37 can speak to the latter, but not as much to the
38 former.
- 39 Q All right.
- 40 MR. STEPHEN: **Fish Health Protection Regulations** were
41 developed many years ago and to deal with the
42 import of salmonids, any species in the family
43 *Salmonidae*, so Arctic char, whitefish, trout,
44 salmon, both Pacific and Atlantic, the
45 requirements there are fairly brief, but
46 requirement of movement of salmonids into Canada
47 or between provinces requiring a fish health

1 certificate and an accompanying import permit,
2 there is a list that -- two schedules of diseases.
3 I don't have them off the top of my head.

4 Q Oh, that's fine.

5 MR. STEPHEN: But I can point out that ISA is not one
6 of them, because this was an old list. There was
7 at one point an attempt to think about updating
8 the regulations to include a broader scope of
9 diseases; however, with the planning and
10 development of the National Aquatic Animal Health
11 Program it was seen that these **Fish Health**
12 **Protection Regulations** would be ultimately
13 rescinded with CFIA's authorities come into play.

14 At the moment we have just amended the **Fish**
15 **Health Protection Regulations** because the CFIA is
16 moving in a stepped implementation of the program
17 and our amendment reflects that we are releasing
18 control of imports from international movements
19 into Canada of salmonids because CFIA has the
20 authority now. And we wanted to remove
21 duplication of regulatory authority and --

22 Q When you say releasing, do you mean you're moving
23 the responsibility from DFO to CFIA?

24 MR. STEPHEN: Yes. We basically amended the definition
25 of import to say import means between -- from one
26 province to another instead of from outside the
27 country into Canada.

28 Q All right.

29 MR. STEPHEN: And we've just made that amendment this
30 month.

31 Q What prompted a move towards a national regulatory
32 regime of the kind we have now? I'll leave it to
33 the panel to decide who best to answer.

34 MR. STEPHEN: Well, I can start. The focus, as I
35 mentioned under the **Fish Health Protection**
36 **Regulations** is only on salmonids, so it was very
37 limited in scope. With the world coming into more
38 awareness of aquatic animal diseases in trade, it
39 was seen as a real necessity for Canada to have a
40 broader capacity to deal with diseases of finfish
41 beyond just salmon, crustaceans and molluscs, as
42 Dr. Klotins had pointed out earlier. So the whole
43 plan for the NAAHP was to be a much bigger and
44 much more comprehensive program.

45 Q Anything to add to that, Dr. Klotins?

46 DR. KLOTINS: There was also a bigger focus now on the
47 international community to set up standards for

1 safe trade of aquatic animals and that drove the
2 -- that was one of the drivers for creating the
3 NAAHP as well.

4 Q All right. Were other governments, provincial
5 governments perhaps, and other organizations
6 involved in formulating whether there should be
7 this change and if so, the particulars of it?

8 DR. KLOTINS: The plan was brought forward to the
9 Canadian Council of Aquaculture and Fisheries
10 ministers and they endorsed the plan.

11 Q All right.

12 DR. KLOTINS: The Canadian Council is composed of
13 provincial fisheries and aquaculture ministries as
14 well as DFO.

15 Q All right. Were any outsiders included in that
16 consideration or discussion? NGOs or industry?

17 MR. STEPHEN: I believe there was, but I was not
18 directly involved in leading that. I was
19 peripherally involved as part of the CFIA at the
20 time.

21 Q All right. Now, the National Aquatic Animal
22 Health Program, which is called NAAHP as I
23 understand it, is something that is under whose
24 department? Or is it both departments? Where
25 does it lie?

26 DR. KLOTINS: The lead agency is the Canadian Food
27 Inspection Agency because of the legislative
28 authority and we're responsible for developing and
29 implementing the program. On the other part of
30 it, implementing for the laboratory services and
31 research is the responsibility of Fisheries and
32 Oceans Canada through an MOU.

33 MR. STEPHEN: And if I could just add that I mentioned
34 earlier that the Government of Canada in 2005
35 recognized the need for this program and
36 recognized the capacity on the regulatory side for
37 CFIA and the diagnostic capacity and research of
38 aquatic animal disease that DFO had been building
39 up for many decades.

40 Q All right. Now, mandatory reporting has come into
41 play. Is it correct that that has come about for
42 the first time in the aquatic area as of January
43 or so of -- January or so of 2011?

44 DR. KLOTINS: At the federal level, I believe so.

45 Q And you've given some evidence on that already.
46 Although new in the aquatic world, had that
47 reporting requirement been in place for a long

1 period of time?
2 DR. KLOTINS: For terrestrial animal health?
3 Q Yes.
4 DR. KLOTINS: Yes. It had been there ever since the
5 **Health of Animals Act** was enacted.
6 Q All right. Now, if we could have Exhibit 2103 up
7 on the screen, please, which as I understand it is
8 Canada's Tab 29. Now, is that -- I'll ask you,
9 Dr. Klotins, I think you've given evidence
10 already, but just to confirm, that's something
11 that you had a hand in drafting, is it?
12 DR. KLOTINS: Yes, I did.
13 Q And, in fact, are you the principal author?
14 DR. KLOTINS: Yes, I am.
15 Q Now, is that something that CFIA caused to be
16 distributed to DFO and to universities and to
17 others who should know about this?
18 DR. KLOTINS: Yes, we did.
19 Q And more specifically, did you cause it to be sent
20 to Mr. Stephen?
21 DR. KLOTINS: We had talked together on how best to
22 distribute it through DFO and Stephen agreed to be
23 the contact point and to distribute it within DFO.
24 Is that -- that's my recollection.
25 MR. STEPHEN: Yes.
26 DR. KLOTINS: Yeah.
27 Q All right. And so picking up with that or picking
28 up on that, Mr. Stephen, what then was done within
29 DFO?
30 MR. STEPHEN: I consulted with several colleagues
31 across the country and we looked at the best way
32 to distribute this across the whole department.
33 You have to understand that although I work within
34 the Science sector, there are other people within
35 the department in aquaculture and other places
36 that deal with fish, so we decided that having
37 this mandatory reporting notification documents
38 from Dr. Klotins, my assistant deputy minister,
39 Siddika Mithani, would distribute this to all
40 departmental management committees, so all -- the
41 deputy minister, all the assistant deputy
42 ministers, or regional directors general, and
43 request that all of them provide this to all staff
44 who were involved in, as the directive says,
45 people involved in rearing, holding, researching,
46 et cetera, aquatic organisms.
47 So anybody who was a researcher within

- 1 Science, anybody who was working the Salmon
2 Enhancement Program here on the West Coast,
3 anybody who was doing anything with aquatic
4 animals would have been -- should have received
5 notification of this in -- we actually did it a
6 couple of weeks after this was issued, so it was -
7 - I think it was February the 7th.
- 8 Q All right.
- 9 MR. STEPHEN: And then it was distributed.
- 10 Q So are you confident that it was distributed
11 throughout DFO to the respective Science areas
12 and, in turn, from whoever receives it in the
13 Science areas to their staff and scientists?
- 14 MR. STEPHEN: I can't say that I verified it in every
15 case, but I would assume that the department
16 management committee would indeed do that, yes.
- 17 Q Are you aware of a reminder notice with regard to
18 this directive that was sent out recently by DFO
19 to its various offices, labs, and scientists?
- 20 MR. STEPHEN: Yes, I am. In fact, I was instrumental
21 in making sure that that happened. After my
22 discussion with Dr. Miller on November 24th, it
23 became apparent that perhaps people needed a
24 reminder of the necessity to report on any suspect
25 cases of disease, including ISA, and I advised my
26 -- recommended to my director general and my ADM
27 that the issue -- that the notification be sent
28 out as a reminder, and that was done.
- 29 MR. TAYLOR: All right. Now, I'm not completely clear
30 what's in Exhibit 2103, but I know that in Tab 29
31 there was a number of documents and I'm not
32 certain whether all of those documents became part
33 of 2013 or just what I see on the screen. Mr.
34 Lunn, can you help me? In other words, are there
35 multiple pages to this exhibit?
- 36 MR. LUNN: There are four pages to Exhibit 2103.
- 37 MR. TAYLOR: Okay. Can --
- 38 MR. LUNN: It's been identified by the DFO number that
39 I have with it. I'm not sure it's the same as
40 your Tab 29. I'm just --
- 41 MR. TAYLOR: Maybe if I could just see the first page
42 of the exhibit.
- 43 MR. LUNN: Certainly. We're looking at it.
- 44 MR. TAYLOR: All right. Maybe separately you could
45 pull up Tab 29 then, please?
- 46 MR. LUNN: Yes, I'm doing that now. It looks like they
47 might be the same document, just with different

1 DFO numbers. They look...
2 MR. TAYLOR: There should be an email November 28,
3 2011. Does it help if I give the DFO number?
4 MR. LUNN: Yes, I've got multiple parts of Tab 29 and
5 the email's on the right-hand side of the screen
6 now.
7 MR. TAYLOR: Yes, thank you. So wherever this is in
8 the material. I'd ask that --
9 Q Firstly, Mr. Stephen, is that the reminder notice?
10 MR. STEPHEN: Yes, it is.
11 MR. TAYLOR: Could that be Exhibit -- the next exhibit,
12 please?
13 MS. PANCHUK: Exhibit --
14 MR. LUNN: The email on the right?
15 MR. TAYLOR: The email on the right, November 28, 2011.
16 MS. PANCHUK: Exhibit 2116.
17
18 EXHIBIT 2116: Email from Siddika Mithani to
19 various people dated November 28, 2011
20
21 MR. STEPHEN: If I may?
22 MR. TAYLOR:
23 Q Yes?
24 MR. STEPHEN: I just want to add that you can see that
25 the message went out directly again from my
26 assistant deputy minister and my director general,
27 Wayne Moore, was copied on that to confirm that
28 distribution.
29 Q By the way, who are XNATDMB members?
30 MR. STEPHEN: That's an internal mail group that
31 departmental management board, which is the deputy
32 minister, the assistant deputy ministers, and the
33 regional directors general.
34 Q All right.
35 MR. STEPHEN: They all report to the deputy minister,
36 so it's her -- her executive committee.
37 Q So it would include Sue Farlinger of this region?
38 MR. STEPHEN: It should, yes.
39 MR. TAYLOR: Now, further into Tab 29 is what you had
40 up on the screen a moment ago, Mr. Lunn.
41 MR. LUNN: Yes.
42 MR. TAYLOR:
43 Q And then further into Tab 29 is yet another
44 version of -- yes, thank you. And is what's on
45 the screen now part of 2103?
46 MR. STEPHEN: I don't believe so, no.
47 MR. TAYLOR: Could this be marked as the next exhibit,

1 please? I'll take that as a yes.
2 MS. PANCHUK: 2117.
3 MR. MARTLAND: We -- sorry, we think this may be 2027,
4 for what it's worth.
5 MR. LUNN: Thank you.
6 MR. TAYLOR: Well, I heard a "maybe" in that. I'll
7 just leave it for the moment, unless anyone
8 clarifies and keep going. Now, could we have
9 what's on the screen and 2103 side-by-side?
10 MR. LUNN: Yes. One moment, please.
11 MR. TAYLOR:
12 Q And Dr. Klotins, I'll ask you this question, and
13 this came up before. You'll see that when it
14 comes up here that one of these documents has a
15 longer first paragraph than the other and you
16 spoke to some of this before. Can you just run
17 this by us again? What's the difference and
18 what's the reason for the difference between these
19 two?
20 DR. KLOTINS: Well, the difference is --
21 MR. LUNN: Microphone, please?
22 DR. KLOTINS: Sorry. The difference is that one speaks
23 to section 5(1) of the Act --
24 Q Okay.
25 DR. KLOTINS: -- that speaks to Canadians who own or
26 work with aquatic animals and --
27 Q Okay. Just pausing, if I could - sorry to
28 interrupt you. But which one, the left or the
29 right speaks to the -- what you just said?
30 DR. KLOTINS: The one on the right.
31 Q Okay. And that's 2103, exhibit number. Thank
32 you. Carry on.
33 DR. KLOTINS: Yes. And the one on the left speaks to
34 veterinarians and aquatic animal health
35 specialists that -- where s. 5(2) applies to.
36 MR. TAYLOR: All right. Thank you. And that's the one
37 that is the exhibit that was just marked.
38 Q Now, NAAHP, as I understand it, is jointly run by
39 CFIA and DFO; is that correct, Dr. Klotins and Mr.
40 Stephen?
41 DR. KLOTINS: Well, it's a partnership.
42 Q All right.
43 DR. KLOTINS: And CFIA is the lead agency, particularly
44 with decision-making and developing the programs
45 and implementing them and DFO shares the
46 responsibility and implementation.
47 Q And put another way, is it the case that CFIA has

- 1 got the regulatory and enforcement responsibility
2 and provides overall direction and for its part
3 DFO provides the laboratory support?
- 4 DR. KLOTINS: Yes. And they provide research support,
5 as well.
- 6 Q All right. Now, is it correct that NAAHP has four
7 main elements: program direction and regulation;
8 then secondly field operation; thirdly diagnostic
9 testing; and fourthly, as you just mentioned,
10 research and development?
- 11 DR. KLOTINS: In terms of the program?
- 12 Q Yeah.
- 13 DR. KLOTINS: Those are probably the main elements.
- 14 Q All right.
- 15 DR. KLOTINS: Yeah.
- 16 Q And the testing that has been done and is the
17 subject of evidence here by the Moncton lab, by
18 Ms. Gagné and others, that's the -- that's part of
19 the diagnostic testing function, is it?
- 20 DR. KLOTINS: Yes, it is.
- 21 Q And on that second one, field operations, does
22 CFIA have field staff in British Columbia?
- 23 DR. KLOTINS: Yes, they do.
- 24 Q And where --
- 25 DR. KLOTINS: Yes, we do.
- 26 Q And is that in the Lower Mainland area?
- 27 DR. KLOTINS: It's spread out throughout B.C.
- 28 Q All right. And what is their function and as well
29 as stating generally what their function is, if
30 they have a role in the specific subject matter of
31 these hearings, if you could elaborate on that.
- 32 DR. KLOTINS: The field staff designated under the
33 **Health of Animals Act** in terms of employees and
34 CFIA are inspectors and veterinary inspectors and
35 they help to carry out the activities we need to
36 do under the **Health of Animals Act** and
37 Regulations. So in this particular case, they can
38 receive notifications. They can process them and
39 determine whether they need to go and inspect,
40 collect samples and information and make
41 determinations about disease response.
- 42 Q All right.
- 43 DR. KLOTINS: Et cetera.
- 44 Q Okay. Thank you. Have they had -- have the field
45 staff in British Columbia had a role with regard
46 to the reports and the testing that's been done
47 arising from what Dr. Routledge of SFU began in

1 October of this year?

2 DR. KLOTINS: Yes, they have.

3 Q What is that?

4 DR. KLOTINS: So veterinary inspector and inspector
5 from -- well, two veterinary inspectors from the
6 Burnaby office played a role in contacting some of
7 the people we needed to talk to here in British
8 Columbia. Joseph Beres was -- served as a what we
9 call an incident commander of the disease response
10 and he shared that leadership role with Con Kiley
11 in national. We also had a veterinary inspector
12 out on the East Coast in the Atlantic area that
13 was involved in organizing and getting samples
14 from Dr. Kibenge to Nellie's lab and with some of
15 the initial work, we started to do on the lat
16 assessment piece.

17 Q All right. Thank you. I'm going to turn now to
18 you, Dr. Wright, if I may, and ask about
19 validation techniques. I understand that
20 validation is an area or perhaps the area of
21 specialty that you had; is that right?

22 DR. WRIGHT: Yes, that's right.

23 Q And, in fact, you've spent most of your career
24 doing validation work or validation development of
25 -- and validation techniques?

26 DR. WRIGHT: Well, I'm both setting the principles and
27 standards for validation, as well as collaborating
28 in validation work for various tests of diseases,
29 yes.

30 Q All right. And in my questions, although I'm
31 going to address them primarily to Dr. Wright if
32 Dr. Klotins or Mr. Stephen have something that you
33 want to add in, by all means.

34 Can you, Dr. Wright, explain the purpose of
35 validation tests and confirmation of findings and,
36 in particular, in the context of reportable
37 diseases?

38 DR. WRIGHT: Well, essentially validation -- well, it
39 does several things for you. I mean, one, it's
40 basically the scientific proof that the tests that
41 you're using actually works and that it's
42 repeatable and it's reliable. The analytical
43 portion of that validation, as I said before,
44 basically verifies that you're detecting what you
45 say you're detecting at the limit that you're
46 detecting and that then determines whether or not
47 there are any extraneous factors in the matrix

1 that can inhibit that; that you've got a
2 repeatable test, and that it's comparable to other
3 tests that may be used as a standard of
4 comparison.

5 The second stage of validation is actually
6 putting it out in the field. In essence what
7 you're looking at there -- well, not putting it
8 into the field, but doing the field validation,
9 and this is using the test -- there's two ways to
10 approach it. Either the conventional approach
11 would be to have reference animals that are known
12 to be free of disease and/or exposure, and those
13 that have been exposed and/or diseased. There are
14 other ways of approaching this. There are
15 Bayesian models that can be used and it very much
16 depends on the situation and what kinds of
17 reference materials are available to you. In some
18 cases, there aren't any whatsoever, but you can go
19 out and use these other models.

20 And essentially what that does is it gives
21 you some diagnostic performance characteristics
22 and, as I say, these are probabilistic estimates
23 of performance and determine whether or not if you
24 have a positive animal, whether or not with what
25 level of confidence you can be assured that you're
26 going to get a positive result and the negative
27 corollary to that.

28 Q So --

29 DR. WRIGHT: So basically what it's doing is it is
30 providing a tool for the program to use to either
31 detect and/or manage disease and to qualify
32 animals for movement. It supports the
33 import/export. It supports all kinds of things.
34 But you need all of those credentials in place in
35 order to be able to withstand any type of scrutiny
36 of the testing you're doing and the reliability of
37 the results that you're generating.

38 Q Now, with respect to reportable diseases and
39 specifically ISA, I understand that the techniques
40 and protocols at Ms. Gagné's lab in Moncton have
41 used have been developed and constitute the
42 validation testing that is acceptable to both
43 Canada and the OIE for ISA; is that right? ISAV
44 -- or ISA; is that right?

45 DR. WRIGHT: Yes, that's right.

46 Q And is there an expectation on the part of --
47 well, let me ask first, does the OIE leave it to

1 Canada to develop the validation testing technique
2 and protocols and then put it to the OIE to see if
3 it passes muster or is it the other way around,
4 where they give guidance what is to be done?
5 DR. WRIGHT: No, it's more that they give guidance.
6 They do not approve tests within member countries,
7 but they -- as I said before in their manuals,
8 both the aquatics manual and the terrestrial
9 manual, they will give examples of acceptable
10 tests and protocols and that's available to all
11 member countries. If they wish to use them they
12 may. But as I have said that there's nothing
13 stopping a country developing their own test along
14 the same lines but they must be able to
15 demonstrate that their tests perform as well, if
16 not better, than what's in the standard.
17 Q And that's what Canada did, is it, in the case of
18 ISAV?
19 DR. WRIGHT: Essentially, yes.
20 Q And in that regard, did Canada at some point put
21 something to the OIE that says essentially this is
22 what we are going to use by way of validation
23 testing and get a response from the OIE?
24 DR. WRIGHT: No, there's no requirement for that.
25 Q All right. Is there an expectation on the part of
26 the OIE what Canada or any country might do before
27 it makes changes to the validation techniques and
28 methodology it uses?
29 DR. WRIGHT: Well, those are all set out in the
30 validation chapter that's -- it's the same
31 chapter, and it's both in the aquatics and the
32 terrestrial manual, so those are the guiding
33 principles. There's also a validation pathway.
34 It was originally designed to allow -- well, as --
35 as part of the guide for the member countries and
36 the developers within those countries, but it's
37 also been used as a guide for any commercial
38 interests that wish to put forth a test to the OIE
39 for registration. But that's only for commercial
40 tests.
41 Member countries can actually develop their
42 own tests. They can either adopt the one that's
43 in the manual, develop their own. And -- but the
44 expectation is that they will follow those
45 validation principles and guidelines that are set
46 out by the OIE.
47 MR. TAYLOR: All right. Could we have Canada Tab 32,

1 please, on the screen?

2 MS. PANCHUK: Just to clarify, Exhibit 2116 was the
3 email. The document on the left has been
4 previously marked as Exhibit 2027 and the document
5 on the right has previously been marked as 2103.

6 MR. TAYLOR: All right.

7 MS. PANCHUK: So we've not marked anything for 2117.

8 MR. TAYLOR: All right. Thank you for that, Ms.
9 Panchuk.

10 Q So Tab 32, and I may be told this is an exhibit
11 through another means, but as we're perhaps
12 getting word on that, Dr. Wright, do you recognize
13 this document?

14 DR. WRIGHT: Yes, I do.

15 Q That's a paper authored by you and others, is it?

16 DR. WRIGHT: Yes, it is.

17 Q And you're the principal author?

18 DR. WRIGHT: Yes, I am.

19 Q And in brief, what is this and what does it tell
20 us?

21 DR. WRIGHT: It basically describes the evolution of
22 the validation pathway that's used by the OIE.
23 It's not something that any one individual came up
24 with. If anybody has taken time to read it,
25 there's been a number of international
26 consultations that have taken place to define
27 these criteria that need to be fulfilled in order
28 for a test to be considered validated as fit for
29 purpose and there are multiple purposes there in
30 regulatory diagnostics that you'll see if you go
31 through there.

32 And it actually indicates at different points
33 during the ontogeny of all of this, where the OIE
34 has actually passed resolutions and where --
35 important ones where, you know, it recognizes that
36 assay development is an ongoing process or
37 development in monitoring is an ongoing process
38 and the tests must be fit for purpose and
39 basically, where -- takes us to where we are today
40 in terms of the standards and the guidelines of
41 the OIE and the encouragement for all member
42 country laboratories to follow those guidelines.

43 And, as a matter of fact, the OIE quality
44 standards indicates that any lab that's involved
45 in diagnostic testing should only be using tests
46 that are validated according to the principles of
47 the OIE.

1 MR. TAYLOR: All right. Thank you. Could this be an
2 exhibit please?

3 MS. PANCHUK: Exhibit 2117.

4
5 EXHIBIT 2117: Development of a Framework for
6 International Certification by OIE of
7 Diagnostic Tests Validated as Fit for Purpose
8

9 MR. TAYLOR: Could we have Exhibit 1676, please, 1676,
10 which is also at commission Tab 52, and
11 specifically, pages -- well, we'll look at the
12 first -- this is an OIE document, I think.

13 Q Do you recognize that, Dr. Klotins?

14 DR. KLOTINS: Yes, I do. It is from the OIE --

15 Q All right.

16 DR. KLOTINS: -- manual.

17 Q Could we go to pages 11 and 12, please, and what
18 I'd like to hear from you, Dr. Klotins, is what is
19 a suspected case of ISA and what is a confirmed
20 case?

21 DR. KLOTINS: On the -- yeah, the suspected case
22 criteria are listed in number 7.1.

23 MR. TAYLOR: I think it's the next page, Mr. Lunn.

24 DR. KLOTINS: Yeah. It starts on the bottom --

25 MR. TAYLOR: There we are.

26 DR. KLOTINS: -- of that page and... Yeah. So OIE
27 suggests that a definition of a suspect case meets
28 at least one of the following criteria, and then
29 confirmed case is another set of criteria.

30 MR. TAYLOR:

31 Q All right. And without reading it, what's the
32 essential definition of "suspected case" and the
33 same for "confirmed case" and what's the
34 difference?

35 DR. KLOTINS: Basically in a suspect case is you have
36 some inkling that ISA may be there, but you
37 haven't confirmed it with -- or with cell culture
38 and another -- at least another test, as well.

39 Q And a confirmed one then?

40 DR. KLOTINS: Sorry, that's what I meant.

41 Q Oh, okay.

42 DR. KLOTINS: The second part. The suspect is just one
43 test or a set of clinical signs.

44 Q And the confirmed becomes --

45 DR. KLOTINS: The confirmed has --

46 Q -- a repeated and cultured --

47 DR. KLOTINS: -- you know, the clinical signs and/or

1 cell culture, plus another test.

2 Q All right.

3 DR. KLOTINS: At least.

4 Q Now, I'd like to ask you some questions, Dr.

5 Klotins, about what CFIA did upon hearing of the
6 reports that there might be ISAV in B.C. waters
7 and those came to you in October, as we've heard.

8 In addition to taking steps to have samples

9 tested, the CFIA started an investigation, as I

10 understand it; is that the word you use,

11 investigation? Or do you call it something else?

12 DR. KLOTINS: Most typically we use "investigation".

13 Q And what does an investigation entail in this

14 context, and if you could from there go to what

15 has been done, what is being done, and what's the

16 purpose of this? Now, you've spoken something of

17 that, but if you could in brief take us from

18 October when you got the reports and an

19 investigation was started, what does that entail

20 and what's been done and is being done and where

21 is that going to go? I don't mean in result, but

22 what next? And what is this all in aid of?

23 DR. KLOTINS: Yeah. So I guess what's common in all

24 the - I think there's about four notifications now

25 - is that we asked if we could get samples, if we

26 could corroborate the findings and we also started

27 an investigation to find out about the fish

28 population and whether they were exhibiting any

29 clinical signs. We also started the investigation

30 of why we couldn't corroborate results and then

31 determining -- because this is a wild fish and

32 there was no question of eradication or anything

33 like that, it's more like because we can't

34 confirm, but there is some suspicion how do we set

35 up a surveillance program to determine whether ISA

36 does occur in B.C. or whether we have disease

37 freedom.

38 Q All right. And what's going on, on the ground, in

39 this investigation, if you like?

40 DR. KLOTINS: On the --

41 Q What's happening?

42 DR. KLOTINS: We've basically did all the work on the

43 samples. The results have come back. We've

44 interpreted them as negative at this point, and

45 that was for the first notification. That

46 included the samples from SFU. The same with the

47 second notification from fish that were sampled in

1 Weaver Creek, Harrison River, and we are still
2 continuing our investigation with the two
3 notifications that involved test results from
4 Kristi Miller's lab.

5 In terms of the samples from SFU, we're in
6 the process of deciding to lift the quarantine
7 orders and making a decision about returning --
8 returning samples as requested by Dr. Routledge,
9 and we're continuing our investigation with the
10 Kristi Miller samples and we're also putting
11 together a surveillance program.

12 Q All right. And we will come to the surveillance
13 program and probably Monday at this point. Let me
14 turn in the few remaining minutes today to a
15 couple of things. One is the lab assessment of
16 the Moncton and the AVC, Dr. Kibenge's lab. First
17 let me confirm if I'm right, is it the case that
18 you were not here this morning for the evidence
19 given this morning?

20 DR. KLOTINS: Yes, that's correct.

21 Q All right. Dr. Kibenge said in evidence this
22 morning --

23 THE COMMISSIONER: Mr. Taylor, I wonder if I could just
24 beg your indulgence for a moment. I note the time
25 and I would prefer if you get into this area that
26 you had a clear run at it, rather than breaking it
27 up after a minute of questions. So --

28 MR. TAYLOR: That's fine.

29 THE COMMISSIONER: Thank you very much. Mr. Martland,
30 it might be useful just to review the hours for
31 Monday.

32 MR. MARTLAND: Yes, I will do that.

33 THE COMMISSIONER: Thank you.

34 MR. MARTLAND: Mr. Commissioner, we have, once we
35 conclude today's session, on Monday sitting from
36 9:00 to 4:30 but scheduling requirements mean that
37 the lunch break that day will be from 12:30 to
38 3:15, so the hours are 9:00 to 4:30 Monday, lunch
39 12:30 to 3:15.

40 We are on schedule. I'll be asking all
41 counsel to respect their time allocations.

42 They've been very good at doing that. We're on
43 our schedule. Thank you.

44 THE COMMISSIONER: Thank you very much, Mr. Taylor, for
45 your indulgence and I thank the witnesses for
46 today and, as you heard, we're back here all four
47 of you at nine o'clock on Monday morning.

1 Thank you very much for making yourselves
2 available on Monday. Thank you.
3 MS. PANCHUK: The hearing will now adjourn until Monday
4 at 9:00 a.m.
5

6 (PROCEEDINGS ADJOURNED TO DECEMBER 19, 2011
7 AT 9:00 A.M.)
8
9

10
11 I HEREBY CERTIFY the foregoing to be a true
12 and accurate transcript of the evidence
13 recorded on a sound recording apparatus,
14 transcribed to the best of my skill and
15 ability, and in accordance with applicable
16 standards.
17

18
19
20 _____
21 Diane Rochfort
22

23
24 I HEREBY CERTIFY the foregoing to be a true
25 and accurate transcript of the evidence
26 recorded on a sound recording apparatus,
27 transcribed to the best of my skill and
28 ability, and in accordance with applicable
29 standards.
30

31
32
33 _____
34 Pat Neumann
35

36 I HEREBY CERTIFY the foregoing to be a true
37 and accurate transcript of the evidence
38 recorded on a sound recording apparatus,
39 transcribed to the best of my skill and
40 ability, and in accordance with applicable
41 standards.
42

43
44
45 _____
46 Karen Hefferland
47

I HEREBY CERTIFY the foregoing to be a true and accurate transcript of the evidence recorded on a sound recording apparatus, transcribed to the best of my skill and ability, and in accordance with applicable standards.

Susan Osborne

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47